

UNITED STATES DEPARTMENT OF COMMERCE
NATIONAL TELECOMMUNICATIONS AND INFORMATION
ADMINISTRATION

COMMERCE SPECTRUM MANAGEMENT ADVISORY COMMITTEE
(CSMAC) MEETING

Via Teleconference
Thursday, September 21, 2023

1 PARTICIPANTS:
2 JENNIFER ALVAREZ
3 REZA AREFI
4 DONNA BETHEA-MURPHY
5 HILARY CAIN
6 MICHAEL CALABRESE
7 THOMAS DOMBROWSKY, JR.
8 MARK GIBSON
9 DALE HATFIELD
10 CAROLYN KAHN
11 JENNIFER MANNER
12 PAUL MARGIE
13 JENNIFER MCCARTHY
14 KARL NEBBIA
15 LOUIS PERAERTZ
16 DANIELLE PIÑERES
17 CHARLA RATH
18 GLENN REYNOLDS
19 DENNIS ROBERSON
20 ANDREW ROY
21 JESSE RUSSELL
22 STEVE SHARKEY

1 PARTICIPANTS (CONT'D) :

2 MARIAM SOROND

3 RIKIN THAKKER

4 BRYAN TRAMONT

5 JENNIFER WARREN

6 ROBERT WELLER

7 PATRICK WELSH

8 DAVID WRIGHT

9

10 * * * * *

11

12

13

14

15

16

17

18

19

20

21

22

1 C O N T E N T S

2 AGENDA ITEM: PAGE

3 WELCOME/OPENING REMARKS

4 OPENING REMARKS AND INTRODUCTION BY CO-CHAIRS

5 OPENING REMARKS AND SPECTRUM POLICY UPDATE

6 SUBCOMMITTEE REPORTS AND DISCUSSION

7 OPPORTUNITY FOR PUBLIC COMMENT

8 CO-CHAIR CLOSING REMARKS

9 ADJOURNMENT

10

11

* * * * *

12

13

14

15

16

17

18

19

20

21

22

1 P R O C E E D I N G S

2 (1:11 p.m.)

3 MS. MANNER: Let me just conclude by
4 saying thank you again for everyone on CSMAC for
5 their hard work. We're looking forward to our
6 meeting in December. We hope to see even more of
7 you --. And with that, we're looking forward to
8 hearing everyone's reports today and then turning
9 our floor over to --.

10 MS. RATH: Great. Thank you, Jennifer.
11 The next stage is what I want to do is do a roll
12 call. So, I will call your name if you're on the
13 phone to say, aye. Same thing here in the room.
14 So starting with Jennifer Alvarez.

15 MS. ALVAREZ: Hi.

16 MS. RATH: Great. Reza Arefi. Donna
17 Bethea Murphy. Hilary Cain, is not on but I'm
18 just asking, is she here? Michael Calabrese, Tom
19 Dombrowsky?

20 MR. DOMBROWSKY: Here.

21 MS. RATH: Mark Gibson is also on
22 travel. Dale Hatfield. Dale? Okay. Paul

1 Margie?

2 MR. MARGIE: Here.

3 MS. RATH: Jennifer McCarthy, Karl
4 Nebbia, Louis Peraertz?

5 MR. PERAERTZ: Here. Can you hear me
6 okay?

7 MS. RATH: Great. Yes. I can hear you
8 great. Thanks. Danielle --, Glenn Reynolds, Dennis
9 Roberson? We heard you, Dennis --

10 MR. ROBERSON: I'm here.

11 MS. RATH: Andrew Roy? I think he's
12 traveling, too. Jesse Russell?

13 MR. RUSSELL: Here.

14 MS. RATH: Steve Sharkey, Mariam Sorond?

15 MS. SOROND: Here.

16 MS. RATH: Ricker Thakker, who I think
17 is also calling in.

18 MR. THAKKER: Here.

19 MS. RATH: Brian Tramont, Jennifer
20 Warren, Robert Weller?

21 MR. WELLER: Present.

22 MS. RATH: Patrick Welsh, I know it's

1 not able to attend. I forgot to mention Jennifer
2 Manner, who I have to check in, even though I know
3 she's here. And me, and David Wright is on his
4 way will -- and checking in. And first off, thank
5 you. This is great. It's nice to see everybody's
6 faces around the table. And to those of you on
7 the call, sorry you can't be here, too. And as
8 Jennifer said, we look forward to seeing you in
9 our December meeting.

10 Now I want to turn it over to Scott, who
11 has kindly offered to take questions, but he's
12 going to hold off until the end, until after we're
13 all finished with all of our report. So --

14 MR. HARRIS: I offered to take questions
15 only because it makes all of my colleagues
16 nervous. First, as we get here, the end of this
17 next cycle, I want to reiterate what Jennifer
18 said. We want to thank everyone here, their hard
19 work in this process with in December. And we're
20 close to the finish line, the current study
21 questions. But I want to be clear how
22 appreciative we at NTIA are for all of your

1 efforts. It means a lot to us.

2 So, speaking of the finish line, let me
3 talk about the National Spectrum Strategy, which,
4 as you all know, is only because I talk about it
5 all the time, is something that's been a major
6 focus --. We, too are near the finish line. We
7 are absolutely committed to releasing the strategy
8 no later than year end. We hope and we expect
9 that we will provide a framework for solving
10 spectrum management problems and answering some of
11 the really tough questions between the months and
12 importantly, years ahead. It's critical that we
13 get this done, and it's critical that we get it
14 right.

15 We are now working to finalize the tax,
16 get all the appropriate clearances. And I spent a
17 lot of time thanking all of the members of the
18 private sector who provided us advice and guidance
19 in this process. I also want to take a second to
20 thank the federal agency -- collaboration valuable
21 input, which by the way is ongoing. So, as I've
22 said a couple of times before, the strategy is

1 going to have four pillars identifying spectrum
2 bands that can be studied -- term for potential
3 repurposing, improving the spectrum policy
4 process, leveraging technology through spectrum
5 access, and finally accelerating workforce
6 development.

7 Publication of the strategy though is
8 not going to be the end of the process. We are
9 already working on -- implementation plan. We
10 intend to issue a few months after the strategy.
11 Simply put, the strategy is designed to explain
12 what needs to be done. Implementation plan is
13 going to give some of the specifics on how we
14 intend to do it. We expect to continue to engage
15 in dialogue with all stakeholders as we proceed
16 from the strategy implementation. And as one part
17 of that process, we are tentatively planning to
18 hold the next NTIA Spectrum Policy Symposium,
19 early -- Expected Policy Statement Strategy to be
20 a critical part of that.

21 And I hope that when we have our last
22 meeting in December, we'll be able to talk about

1 both the strategy --, what's going to be released
2 and the implementation. So, with that said, I hope
3 you'll indulge a few minutes longer because I'd
4 like to note a few other spectrum developments at
5 NTIA. Let's -- be today the FCC is voting or has
6 voted on its face launch site. Our team worked
7 with our colleagues at the FCC to help ensure that
8 they were able to make more spectrum available for
9 commercial space launches while protecting federal
10 space --. Among other things, the commission's
11 demonstrated again today that it's possible to
12 meet the needs of private sector and public
13 sector.

14 I'd also like to note that we continue
15 to work on CBRS. We of course think it is of the
16 utmost importance that the CBRS approach
17 assessment. But it was never our fault that the
18 first -- thus we're always willing to take real
19 world experience into --. We are willing to
20 revisit federal protection criteria as needed and
21 -- possible whether temporarily or long term. I
22 want to give you two small examples. CBRS

1 devices, as you probably know, must continually be
2 reauthorized to use the spectrum lest they operate
3 on --. But since our last meeting worked with our
4 federal partners and mission extend the time
5 before reauthorization needed from five minutes to
6 up to 24 hours places and frequencies --.

7 Also worked with the Hawaii Electrical
8 Company, friends with the commission, and the Navy
9 to allow portal-based scheduling access till an
10 environmental sensing capability fully --. Goal
11 simply to get as much better as is possible till
12 the full system is up and running. The point of
13 this -- but it's that we're always looking for
14 ways big and small to improve CBRS spectrum
15 access. I know we're going to hear today from the
16 CBRS subcommittee about some good findings
17 including operationalizing a process for
18 addressing improvements to potentially overly
19 conservative protective measures. We truly
20 welcome that conversation. We are always open to
21 hearing from licensees what we can do --.

22 And finally, I'd like to take a minute

1 to brag about our research custom lab --. ITS, if
2 you've not read about it yet, just won an award
3 from the state of Colorado for its work on the
4 compatibility of radio altimeters and 5G broadband
5 operations --. ITS played an important role in
6 helping get that particular saga to a big place.
7 And today in Colorado, there's an award ceremony
8 for the winners of the 5G Challenge program. ITS
9 conducted coordination with the --. 5G Challenge,
10 as some of you may know, was designed to help
11 assess the deployment readiness of open ran
12 equipment system.

13 Just to give you a sense of how
14 significant folks consider this endeavor to be.
15 Colorado's Governor Jared Follis -- after ceremony
16 and both Senator Hickenlooper and Deputy National
17 Security Advisor and --. As all of you who know
18 me are aware, I could talk all -- and not just
19 about my granddaughter. I can talk about OSN or
20 ITS, but I guess it's probably -- your work. So
21 without further delay, I'll turn the meeting back
22 to --. Thank you. Want to hear about my

1 granddaughter?

2 MS. RATH: So once again, thank you,
3 Scott. Always inspire --. We'd love to see. But
4 just to turn to business, before I turn over to
5 our first Co-Chair to give a report is we want to
6 remind folks, if you want to take the floor,
7 please put your tent card up. And then for folks
8 on the phone, I'm assuming, Antonio --. How do
9 you want to handle folks on the phone, members are
10 on the phone? Will they just raise their hand?

11 MR. ANTONIO: Yes, that's fine.
12 Actually, they can just speak up. I will ask for
13 those on the phone though, to make sure that your
14 phones are muted right now. I'm hearing that
15 there's a lot of background noise. I think we're
16 all muted here in the room. So, I'll get you guys
17 mute on the phone as well. Thank you.

18 MS. RATH: Thank you so much. So with
19 that, I'm going to ask -- committee and since
20 Mariam's going to start it once again. You've had
21 a challenging time to do, a very short period of
22 time. Let's do the work. So, we appreciate all

1 --.

2 Ms. SOROND: Thank you. Jennifer,
3 Charla. Also, thanks to the subcommittee
4 co-chairs. Jennifer McCarthy and Patrick Welsh
5 could not make it today either. -- to Jennifer
6 for being here. We also have amazing NTIA
7 liaisons -- forward and also thanks to the FCC
8 liaison --. So, with that, let's move on to the
9 first slide, please.

10 Subcommittee members a reminder, the
11 NTIA questions are listed. They will be four high
12 level questions that we looked at primarily
13 lessons learned, improvements and then questions
14 on the consideration for future bands of what can
15 be considered and what should be --. Next slide,
16 please. So, as an update, we did kick off this
17 subcommittee in January 2023, earlier this year.
18 At the last July meeting, we were only able to
19 provide initial observations, but we've made
20 amazing progress since we've completed 26
21 interviews.

22 The interviews are listed over here in

1 two buckets of non federal and federal. And in
2 the actual federal category, besides ICS and DoD,
3 just this morning we also had Navy, which was
4 very, very informative for us that this report has
5 not captured -- interview yet, but it was also
6 extremely helpful. I think we have made really
7 substantial progress to get the views from the
8 commercial side, but we really did need more
9 federal views. And one of the reasons why it
10 would have been premature to jump to any sort of
11 recommendations prior to this.

12 But as we are looking at this, we're now
13 ready to move forward with few recommendations
14 that are high level and we will be able to dive
15 into that further and that has been one of the
16 reasons to come up with the report. We have nine
17 more interviews scheduled by the end of October to
18 be completed. Again, Navy is completed, but there
19 are a few others both on the commercial and
20 federal side that we expect to get to be able to
21 kind of complete the views to make sure all
22 stakeholder input is provided to the --.

1 If you can move on to the next slide,
2 please. So, in the general lessons learned
3 categories, first of know just a step back, CBRS
4 band was a very unique opportunity. It did have
5 various stakeholders that really in previous
6 spectrum, this framework did not exist to allow
7 this sort of coexistence across various use cases
8 of mobile -- wireless equipment, vendors operating
9 smaller enterprises, larger licensed operators.
10 And therefore, it did utilize unique solutions to
11 address the three-tier sharing framework. So as
12 Scott also mentioned earlier, anything that is new
13 is going to need to be potentially improved with
14 the framework that we're providing. However, with
15 that said, we could say confidently that all the
16 stakeholders, they all felt that this framework
17 provided and promoted sharing and the lessons
18 learned were valuable.

19 We did not hear from anyone in the
20 subcommittee in the interview that this was a
21 wrong approach or the framework has fundamental
22 problems or any of these things. Everybody was

1 extremely positive on both sides about this
2 sharing framework being the right approach to this
3 band, addressing this unique opportunity. Also,
4 it was generally agreed that the CBRS sharing
5 framework should be considered another band, but
6 with the caveat that we have to look at the
7 incumbent situation, the policy goals, the
8 licensees and use cases of every band that would
9 actually impact how that sharing framework should
10 be modified.

11 Now again, being a new band, this
12 sharing framework did come in and being a new
13 approach, it did come in with conservative
14 approaches, and that was highlighted actually both
15 on the federal and nonfederal side and the
16 processes adopted initially also were
17 conservative. So therefore, it was acknowledged
18 that there could be better process to address both
19 the conservative maybe methodologies and the
20 conservative processes. Finally, -- I should note
21 that coexistence among nonfederal users actually
22 could also be helped with improvement. That was

1 also highlighted more from the commercial side.

2 With that, we can move to the next
3 slide, please. So, here's aligned with question
4 two asking us for improvement recommendations.
5 Here are some improvement recommendations that we
6 are thinking of and, you know, these kind of be
7 worked on a little bit more. But starting with
8 the first one and as it was highlighted before, we
9 are considering a process and recommending to
10 create a process where all stakeholders, NTIA
11 expertise are able to drive timely changes to
12 whether the rules, operations, settings, or
13 standards is applicable.

14 We also have heard that these processes
15 need to be automated to kind of move things along
16 faster with cheap decision makers and sort of a
17 multilevel implementation process. This
18 recommendation needs to be actually formalized by
19 the subcommittee. So, we have a lot to discuss on
20 what this looks like. This is a very high level
21 recommendation at this point. We will come back
22 in the December time frame to say what does this

1 look like, how, who, and what would be the
2 recommendation of the subcommittee. Also, we
3 highlighted some observations, but obviously these
4 formal processes that we are -- these processes
5 that we might be able to propose will also help
6 some of these initial observations that were
7 detailed information and feedback that we received
8 from the subcommittee members.

9 I'm not going to go through the whole
10 list. It is a large list, but it is spanning over
11 the propagation methodology, the complexity of the
12 processes of aggregate interference, the
13 methodology of aggregate interference, heartbeat
14 intervals, DPA neighbor foot sizes. I guess I am
15 going --. DPA activation timer. And well, there
16 are key sort of findings of the report improving
17 the limits for ground heat, resolving the
18 reservation of excessive amount of spectrum during
19 events and improving the timing, pervasiveness
20 coordination of advanced notifications, and
21 considering PDV (phonetic) synchronization and
22 increasing -- management for GAA.

1 As we were going through this and with a
2 lot of the secretary members that we have, that
3 stakeholders have very insightful feedback to
4 this. Some of these items on these lists are
5 being worked on in other groups. We do not --
6 recommendation with some of them -- being done
7 obviously in various entities to kind of bolster
8 the recommendations. Some of them we might
9 actually come back with specific recommendations,
10 but we will be deciding that in the next couple of
11 months as we're trying to finalize this for
12 December.

13 And then finally, we recommend that for
14 other bands subject to sharing, the NTIA develop a
15 collaborative process that includes all
16 stakeholders. And let me clarify that. We did
17 hear comment that the CBRS process was
18 collaborative. This is not to say that the CBRS
19 process was not collaborative, but this is aligned
20 with our first bullet of coming back with a
21 recommendation on process improvements that would
22 continue to be a collaborative process across the

1 state. So, with that said, I will ask if Jennifer
2 has any comments to add to this, otherwise, open
3 it up for questions.

4 MS. MANNER: Thank you, Mariam, you've
5 been doing an amazing job guiding this discussion
6 and this subcommittee's efforts. It's a rather
7 large gap, but I think we've done a great job of
8 getting a variety of viewpoints and coming up with
9 some very practical and implementable
10 recommendations. Some of which are going to be a
11 little bit more challenging, the process ones and
12 figuring out the interagency communication with
13 the commercial sector and vice versa. So, you
14 know, I -- to getting further analysis and thought
15 into some of those recommendations, which I think
16 will take the brain power of the entire committee
17 to figure out what we think we can improve upon.
18 But great job and thank you for all of your
19 leadership.

20 MS. RATH: Questions. Do we have any
21 questions in the room on the floor for Mariam and
22 Jennifer? Well, thank you so much. We know you

1 have just a few months to finish your task --.
2 And we appreciate everything you're doing. So
3 with that, I'd like to turn to the 6G subcommittee
4 and would ask Reza to take the floor.

5 MR. AREFI: Thank you very much. Very
6 good. Hi, everyone. -- reporting on our
7 activities. Yes. So here are the subcommittee
8 members listed. We enjoyed the presence of our --
9 liaisons and also --. Okay. All right, so this
10 was the -- numbers. Yes. Thank you. For the
11 mandate, you have seen these first slides from
12 last time. The mandate that was given to us by
13 CIA is basically two-thirds. First was on the
14 focus on use cases. And use cases 6G maintain
15 what kind of use cases would be useful for federal
16 agencies to be aware of, which ones would be
17 applicable to them, especially those that are
18 related to nontraditional use cases with
19 applications and safety, radar space, et cetera.
20 Second, ask what about spectrum. When we got the
21 mandate, of course, there was around the use of
22 terahertz and sub-terahertz band. And they asked

1 us whether any kind of impact on government users
2 and what kind of impact they would expect, whether
3 the use of these bands would be useful -- and in
4 addition to sub-terahertz, if there are any other
5 spectrum bands that might be a good --.

6 As you can see, they didn't ask us --.
7 Now, in early discussions about specific impact to
8 some federal government operations, it was
9 clarified by NTIA that we don't need to bother
10 about specific impacts to users in terms of
11 coercion sharing. And that was --. It was
12 probably way too early for that conversation --.
13 Next slide, please. So, our approach, we scope
14 the work in development plan. We prepared an
15 outline for the report, and we conducted about 40
16 interviews to the great cross section of federal
17 and non federal and for nonfederal service
18 providers, -- profit organizations. We had many,
19 many meetings and discussions development our
20 findings and our recommendations. Draft report,
21 you know, available and we try to address both the
22 use case aspect in -- our mandate.

1 Intro schedule, we started last August
2 and we conducted interviews six months -- and
3 cataloged all the information that we received
4 interview both with verbal and correlated
5 everything. We use that information to prepare
6 our draft -- our draft -- recommendation. We
7 continue to improve the report between now and
8 December the -- final paper. So here you see the
9 entities that we approach for interviews, the ones
10 in gold are the ones that we actually -- speaking
11 with and as you can see the large number of
12 federal agencies, industry covered service
13 providers, -- equipment manufacturers, chip
14 manufacturers, officers, software companies, as
15 well as academia, nonprofit organization.

16 We took a lot of valuable information
17 from our -- on 6G technology and -- organizations
18 and other regions working on defining --. Here's
19 a graph for that alcohol paper. As you can see, a
20 big portion -- by federal government. Another big
21 portion of -- technology as a creative between
22 capture our findings and recommendations on that

1 finding. On technology development and migration
2 from 5G to 6G, we observed that the carriers are
3 still focused on deploying 5G. Moving to --
4 moving to adding features of 5G. -- implemented.
5 On the other hand, -- manufacturer -- manufacturer
6 -- tens of vendors technology elements related to
7 that also inspection that. Another observation --
8 technology was the dominant trend next on these
9 cases.

10 As expected, a new generation of
11 technology response year and gradually move
12 towards what excellent. And we are in the
13 visionary phase -- with that is expected towards
14 the end of the decade commercialized. There are
15 many challenges with respect to that process. One
16 aspect is the business case. Business case has to
17 work, no matter how great the technology is --.
18 Scale has always been a big element in success of
19 different generations of technology. However,
20 going forward, especially given the fact that with
21 6G, we're looking at nontraditional use, case
22 driven applications coming in, it might be also

1 good for specialization, or that could be taking
2 advantage of.

3 Another aspect with respect to use cases
4 is how the technology that enables those use cases
5 are being developed -- earlier next year, making
6 up bridge from anticipated use cases, use cases
7 towards the development of the technology, what it
8 takes --. And they started a partnership with LSF
9 creating -- that. Next slide. On spectrum,
10 findings show that the terrestrial side, the focus
11 shifted past couple of years, maybe talks about
12 utilizing subterranean spectrum. The focus has
13 shifted towards midband and -- midband, up to
14 around 15 gigahertz. We have reflected this --
15 CIA. -- that's mostly research area for
16 communication -- commercial. Everyone kind of
17 pointed to lack of suitable dedicated spectrum
18 additional -- previous generation and specifically
19 very frequently ranges are finding show that low
20 band is not focused post -- low band, and the
21 focus is more on the mid band, which is considered
22 a very loss of spectrum where both coverage and

1 capacity could be traded off depending on the
2 deployment scenario. That's what we heard from
3 interviews and studies.

4 There's a no band spectrum, however, is
5 of interest for the space segment and for non
6 terrestrial, especially for applications such as
7 rec to handset coverage. -- understood area.
8 Interest in higher frequencies -- wave and
9 sub-terahertz -- still exist, but not for specific
10 applications --. So, these are our findings and I
11 pass them to Carolyn (phonetic) to go over most
12 important --.

13 SPEAKER: So, we're presenting draft
14 recommendations on the next slide, and we've got
15 two sets of complementary recommendations that
16 we're presenting on behalf of our subcommittee.
17 This first set addresses our recommendations to
18 help prepare government users for the impact of
19 6G. And we do want to see upfront that it doesn't
20 include operational impact to federal government
21 users, which was outside of the scope of our
22 question. So, we have two recommendations here.

1 We recommend that NTIA work with FTT and agencies
2 to develop and incorporate more readily spectrum
3 sharing approaches into plans. So, there's two
4 pieces of this. First is the spectrum piece, and
5 then second is the process piece.

6 So for the spectrum piece, we recommend
7 that NTIA engage early with federal incumbents in
8 bands of particular interest to 6G and to
9 understand the type of uses there and the degree
10 of uses as well as their ability to share. The
11 second piece on the process is we recommend and --
12 to leverage more data driven automated dynamic
13 methods, including such as developing the alpha
14 version of the --. Our second recommendation here
15 is that acquisition form and incentives be
16 considered in order to do spectrum more
17 efficiently and effectively.

18 And so, for that, NTIA working with the
19 agencies like California and Congress to consider
20 those --. The next slide, please. Antonio, you
21 hit the finish slide. Thank you.

22 MS. RATH: I think Antonio is still

1 trying to fix this major problem on -- people
2 having trouble hearing. So, all of us suggest
3 really try to -- get over some of the
4 interference. --

5 SPEAKER: Okay, so this slide is our
6 overall draft recommendation. And so, first the
7 first recommendation that we have here is on the
8 use case of our question, which is that -- should
9 work with agencies to identify if and when
10 commercial 6G services would be beneficial to
11 federal agency missions, and also to identify and
12 characterize any differentials and requirements
13 that they see for 6G compared to where industry is
14 going with 6G and to incorporate that --
15 coordinate with industry on those differentiated
16 requirements in alignment with the IT timeline.

17 Our second recommendation here refers
18 back to the previous slide about proactively
19 helping prepare for the impact of this be to
20 government users. Our third recommendation is on
21 spectrum. Actually, the other recommendation --
22 7.125. Our fourth recommendation is NK (phonetic)

1 to adopt a toolbox approach so to choose sharing
2 mechanisms that are substituted for particular
3 bands and particular incumbents in those bands,
4 including commercial incumbents and considering
5 the requirements of commercial services in that
6 process in rising and implementing these during
7 method. Noting that less management may be
8 required in the sub-terahertz ranges due to those
9 populations in those ranges that the signals have
10 to travel as far or there's more building losses.
11 So that is helpful in enabling sharing.

12 Our fifth recommendation is that NTIA
13 collaborate with facilitate innovation in the
14 Careford (phonetic) spectrum on an exploratory
15 basis and considering those operations tend to be
16 more localized again due to the propagation --.
17 That presents our --. Thank you so much. I know
18 that --. So, I'm going to ask if there's any
19 questions and once that if you have questions on
20 the phone, please, --.

21 MR. NEBBIA: Thank you. Wanted to ask
22 regarding the first recommendation. Seems to me

1 historically that the government has begun looking
2 at these commercial wireless type technologies
3 after they've been deployed by the wireless
4 industry --. And the initial discussion here, we
5 noticed that everybody's really focused on 5G and
6 6G address what in terms of time are you expecting
7 communicate an application to excel? They haven't
8 --.

9 SPEAKER: So, we think that it -- isn't
10 understanding that agencies are busy with a lot of
11 things. We think this is important and to be--.

12 MR. AREFI: To that also, one of the
13 most important elements in how, like, what shape
14 or form -- are, how they are defined in terms of
15 technical capability. What is it that they would
16 be able to -- what type of application? And
17 those -- at that stage defining those capabilities
18 -- much sooner than we expect going to IT timeline
19 next year is when IT is going to discuss
20 technology performance criteria and KPI
21 (phonetic). It's even sooner than what standard
22 organizations are going to discuss. So, in order

1 to not be preempted --.

2 SPEAKER: --.

3 MS. RATH: Yeah, the fan blew. So, I
4 think, you know, I'll come in and out --. But one
5 of the things that I was listening to the entire
6 discussion was it does sound premature, but I
7 think the -- is on the services side. Some of
8 what we can look at is how does the commercial
9 technology have applications but it doesn't have
10 to be provided by a service provider. It can be
11 leveraged by any --.

12 There's ways to leverage wireless
13 technology that doesn't have to have it --. There
14 are other ways to leverage that technology --.
15 Particularly when I think, Reza, you were talking
16 about fact that the service providers really are
17 paying attention to it. But it's the OEMs and the
18 Rams (phonetic) and what have you. That's
19 different, right? So maybe we should be thinking
20 about that as we go forward a little bit more,
21 breaking out service and technology. And then
22 from a process perspective, everything's going to

1 be really challenging when we get the next
2 meeting. And we're going to be trying to adopt
3 things if we have a situation, and this is not on
4 NTIA at all, but to have a full consensus on
5 things that people aren't able to hear well, the
6 conversation. So, I just want to flag that. I
7 don't know what we do about it as a collective,
8 but, you know, we've got a third of our people not
9 able to --. Thank you.

10 MS. MANNER: Thank you.

11 SPEAKER: Thanks. Just a little bit of
12 a riff off of Karl's comments and maybe also a
13 little bit off Jennifer's as well. But with
14 respect to your comment, Karl, about the fact
15 that, you know, fairly frequently what happens is
16 the government is waiting, or is not necessarily
17 waiting, doesn't actually deploy until well after
18 --. I wonder whether, you know, I've been trying
19 to be -- of meetings going on among the three
20 subcommittees. I'm wondering if part of what
21 you've looked at is vegetarian appropriation --
22 that's a huge piece of this. I also wonder

1 whether -- there are ways to change that that
2 would allow even earlier involvement in some of
3 these types of --. The president and I were
4 having a conversation beforehand about, you know,
5 having been in this situation and seeing how it
6 unfolds. It's not uncommon, for example, years
7 after we deployed --, you know, by the government.
8 So, I just -- I wondered -- and that was that first
9 question. That was part of it.

10 The other point about the service versus technology --
11 that the vendors will be thinking about these things
12 long before the carriers will. And so, there's always
13 that kind of disconnect --. Who do you focus on? How
14 do you get -- out because the service providers --.
15 Jennifer looks like she wants to comment back on --
16 maybe offline for another day.

17 MR. AREFI: Yes. Thank you. One thing
18 to mention here is that maybe instead of -- I
19 wouldn't call it a discontinue -- problem. I
20 think it's an iterative process between vendors
21 and service providers defining technology versus
22 application versus service and requirements. And

1 that has been -- I think will be similar with the
2 possible difference that because of all the
3 nontraditional use cases you talked about, you
4 might see certain applications use cases coming
5 forward financially viable --. That's just an
6 example, right? So, some of this and these will be
7 developed as we --.

8 SPEAKER: --. Although I do think it
9 draft recommendations to all agencies for 6G. And
10 so, perhaps we can have a more specific
11 recommendation --.

12 MR. SPEAKER/Q3: -- conferences and
13 getting people to drink and talk about this stuff.
14 Of course, right, I mean that helps. My point is,
15 okay, how, try to make this happen given all the
16 other issues people are talking about?

17 SPEAKER: I understand there are a lot
18 of issues with -- agencies are very busy with a
19 lot of things. I think it would need to come from
20 the federal agency or -- priority. Looking at
21 what their needs are, how. So we need to rise up
22 to a priority with an incorporate that --.

1 MR. WRIGHT: Thank you. Dave Wright. I
2 kind of wanted to iterate what Charlie was
3 bringing up. I think that's --. That's one area
4 where I don't think that this -- is happening too
5 soon. We deferred to committee -- recommendations
6 as it pertains to incentives. I'd love to see
7 that fleshed out more --.

8 SPEAKER: Okay. -- Thank you very much.

9 MR. SPEAKER/Q3: Yeah, I was just going
10 to observe that you mentioned in the draft
11 findings conversion to public --, a certain kind
12 of conversion between vision and path forward.
13 And one thing that I think deserves -- some
14 discussion maybe further thoughts from this group
15 is also whether 6G is an opportunity if not an
16 inevitability conversion and whether we should be
17 anticipating that. So, for example, we have --
18 today we have networks that are mostly standalone
19 in reflection of --. You have WiFi networks, you
20 have private shared spectrum net -- licensed by
21 rural networks where you have mobile network
22 spectrum. But in fact, those walls are coming

1 down. You have two big cable companies, for
2 example, right now that sell a mobile service
3 that, in fact, combines -- shortly combine all
4 three, mostly WiFi offload but mobile MBN
5 (phonetic) to an increasing degree.

6 And IoT is similar. Where IoT can be on
7 any of those three. But then it's ideally from
8 the enterprise perspective it would interconnect
9 with others. So, the question is, are we thinking
10 enough about the use cases and the applications
11 that are going to run across for -- all of those
12 network types and those spectrum access types. So
13 I just want to make sure that we take note of that
14 maybe for a later time. It hasn't come up very
15 strongly in these interviews.

16 MR. AREFI: Yeah, thank you for that.
17 We can discuss that for interviews. -- was impact
18 on federal user --.

19 MR. SPEAKER: Somebody else has a sub to
20 this question.

21 MR. SPEAKER/Q6: So, going back to a
22 couple of the questions, actually I thought I

1 might mention things in the report and at risk of
2 a bit of a shameless --. Reza mentioned that one
3 of the -- next alliance in full disclosure is part
4 of that. But the next -- of it has been to sort
5 of create a forum where industry, academia, and
6 government agencies can sit down together and have
7 these exact types of conversations early on.

8 Currently our current government members
9 include NTIA, NIST, FISTA, Department of Defense
10 and Persona (phonetic). Always looking to add
11 more -- rather than Karl traditional idea of
12 studying the industry. Go and figure things out,
13 figure out what they want to do and then see how
14 it might work for -- the agencies is trying to
15 figure out what do the agencies think their needs
16 are in the next decade? How do they think that
17 this could work, and can we figure out how to get
18 those ideas embedded in the technology? And then
19 in the standard early on rather than reactively.
20 So there is, you know, that is sort of the whole
21 idea of that forum.

22 Second of all, on the budget question,

1 one of the things that you reference in the
2 report, if not -- directly, are the Research
3 Funding -- Issues Act authorized lots of money
4 directly to the issues that we're talking about
5 here as far as research --. At some point
6 technology points to science. So that is --.

7 MS. WARREN: what can we do about the
8 brick framework? What can we do? What are the
9 technological advances to kind of, you know,
10 update our technologies on the government side?
11 Be able to create more of a sharing with --?
12 They're more sort of, I guess, faster --
13 deployment. And so, it needs to be really
14 initiated and created on the federal agency side,
15 not be participating standards. And I think then
16 the industry will follow and see, okay, what is
17 this framework? How can we make sharing more
18 automated, you know, go beyond the level of, you
19 know, the 6G version of --?

20 SPEAKER: Thank you, Mary (sic). So
21 anyone else who have comments? I know Karl does.
22 Any more substance comments --?

1 MR. NEBBIA: So, I did want to mention
2 that I think the federal government acquisition
3 and processes for getting funding don't lend
4 themselves real easily to just starting up a think
5 process for how you can use a technology that's
6 not available yet. So, I think there are some real
7 challenges there because you've got to get a
8 funded program. It can't just be one of the
9 spectrum managers going to a committee meeting
10 somewhere and saying, well, this would be really
11 good.

12 From a process standpoint, given the
13 fact that Scott had warned us that our silver
14 slipper is going to slip off in a few months,
15 right, at the end of December. We traditionally,
16 I think, have reviewed a completed document and
17 had a specific time to respond to that. So, I was
18 just wondering whether the attached document we've
19 got here is the one we're supposed to start
20 reviewing and presenting formal comments to wrap
21 this up because come December there's not going to
22 be much time.

1 SPEAKER: Yeah, actually that's a really
2 good point. That's exactly why it was given to
3 everyone. No, but it's a good point because it
4 does bring up just some questions about the two
5 other subcommittees because right now what you
6 see, what you've got is actually the report. We
7 need comments, they need to get comments back and
8 the final will be presented to you for a vote in
9 the next meeting. So, for the other two
10 subcommittees, what you're going to see is things
11 done by email, and they'll be posted on the
12 website. Because, you know, I know that we'll
13 talk about this in a minute about the
14 Electromagnetic Compatibility Improvement
15 Committee has a report that we'll be sending out,
16 and the same thing for CBRS that you'll be seeing
17 those things in order for the full CSMAC to be
18 able to vote in December. So, thanks for bringing
19 that up, Karl. But just so everybody is clear,
20 okay, is there --

21 MS. WARREN: Thanks. Just along the
22 same lines as Karl and I'm loud so I can hopefully

1 be heard. I think there is a logistical issue
2 associated with asking the federal government,
3 which happens to be a lot of different agencies
4 and entities and it's not just NTIA to attend
5 every standards group plus create more standards
6 group. And I think we need to make sure that
7 whatever we come up with is actually somewhat
8 implementable, especially when we're talking about
9 a technology that is still under, you know,
10 definition, shall we say. So, I think that asking
11 the federal government to staff up to attend all
12 of these for that maybe something we should think
13 about. Thank you.

14 MS. WARREN: Thanks. Jennifer Warren.
15 Two points. One bill from what Donna said, which,
16 you know, again, the federal agencies, right, it's
17 not a single fire and it's also not a single
18 mission. So, whether it's a civilian agency from
19 an FIA to a DOJ to NASA NOAA to missions of those
20 agencies are very different. So, it's not going to
21 be, oh, they get to identify one or two use cases,
22 and that's going to be the killer use case for the

1 federal government.

2 But I think we need to be a little
3 nuanced as we have that next conversation,
4 probably in subcommittee, but I would say also on
5 the exposition reform. So, we've tried this
6 discussion CSMAC, and we made recommendations for
7 an OMB circular modification. We've done a number
8 of different things in the past, and honestly, as
9 we know from the interviews that we did in
10 following up on some of the recommendations. They
11 were unusable. So, we made recommendations that
12 actually got implemented, but they were unusable
13 by OMB and others.

14 So we need to be realistic. And I think
15 Donna's point was right in acquisition reform and
16 incentives. But I think we should look back at
17 some of what we've tried and understand why it
18 didn't work. And it wasn't because the federal
19 agencies didn't even ever get applied to them. It
20 never made it out. So, again, I think there's
21 more work there. And I know from or I've
22 experienced, I should say, in the past that

1 acquisition reform is a much bigger matter than
2 spectrum governance issues, no matter how linked
3 we'd like to make them. Thanks.

4 MS. MANNER: Okay, thank you. Anyone
5 else want the floor? Anyone on the phone? I'm
6 going to turn the floor over to Charla.

7 MS. RATH: Great. Thank you, Jennifer.
8 And I understand we've been hearing that maybe the
9 interference is gone. So, thank you, Antonio, for
10 taking care of that. But anyway, now to move on
11 to the third subcommittee reporting today, the
12 Electromagnetic Compatibility Improvements. Over
13 to you, Tom Dombrowsky.

14 MR. DOMBROWSKY: Thank you. Thanks,
15 Charla. Let me know in the room if this isn't
16 loud enough. I feel like I talk fairly loudly,
17 but let me know. And I'm pleased, Antonio, that
18 you got to the important subcommittee to make sure
19 all the interference was gone. So that was well
20 done, Antonio. To go to the next slide. The
21 first five or so slides here will be a bit of a
22 recap because we've presented most of these. I'll

1 just stop on this slide to sort of suggest that
2 our group has been very collaborative and very
3 involved. Almost every member of the committee
4 has provided some input to our report and to our
5 recommendations, and it's been very helpful and
6 very useful in terms of getting everybody's
7 opinions in and really having good, active
8 discussions about things.

9 If you go to the next slide, please.
10 This was our tasking, which was really focused on
11 aeronautical radar and commercial systems, looking
12 at co-channel and non-cochannel relationships, how
13 to use statistical risk-based analysis for those.
14 What improvements in propagation modeling could we
15 have there? How does NTIA play an independent and
16 timely analysis role in this? And then any other
17 improvements by the CSMAC as well. One
18 clarification or round of clarifications we got
19 from NTIA was to really focus in on aeronautical
20 radar and commercial wireless in the 5-16
21 gigahertz frequency range. We had a whole meeting
22 about frequency range. So, I'm going to highlight

1 those two words because that was awesome. That
2 was the best meeting we ever had.

3 And then the subcommittee is not
4 conducting any analysis, but just has
5 recommendations on the methodologies and types of
6 inputs that could be considered by NTIA. So, we go
7 to the next slide. So, we have met at least
8 monthly and in the last few weeks we've been
9 meeting fairly regularly at some level. We did
10 have a number of interviews that we did put into
11 the draft report. Our goal had been to try and
12 provide the full draft report, which is running a
13 little over 40 pages when you add dependencies in
14 there. That being said, because we had these
15 variety of meetings and discussions and changes
16 ongoing, it felt wrong to sort of deliver it to
17 the full subcommittee until full committee --
18 until the subcommittee fully engaged.

19 And really enforcement is still an
20 issue. We're still debating and discussing and
21 sort of how to make this work so that
22 bi-directionally, both the federal folks and the

1 commercial folks can continue to modify their
2 systems when you use this kind of analysis. So
3 those are the two main areas that we're still sort
4 of debating and discussing in the draft report.
5 If you go to the next slide here, this is sort of
6 the overview of the report. So, we'll have
7 aeronautical radar discussion, again focused on
8 the 5-16 gigahertz frequency range. Remember
9 folks, frequency range, it's important. And then
10 a summary of responses and discussions and
11 interviews that we had with FAA, NASA, Garmin and
12 Collins. We are actually still waiting for sign
13 off from some of the interviewees in terms of our
14 summary of what we learned from them. So, we do
15 have that as an outstanding item as well.

16 And then commercial wireless coexistence
17 modeling sort of talking about the parameters that
18 could be used and that mutually acceptable value
19 should be used unless the commercial providers
20 provide something more granular. So, on the next
21 slide there. And then on the coexistence analysis
22 itself, we're sort of talking about the parameters

1 and inputs that are needed in there, how other
2 federal agencies are using statistical analysis,
3 not necessarily for spectrum related issues, but
4 still some lessons learned that could be applied
5 potentially to spectrum. And we have a fairly
6 lengthy appendices that was provided as a
7 contribution that sort of walks through those
8 statistical analysis and how we develop risk
9 measures associated with those.

10 And then a key point that I said that's
11 still under discussion is how do we evolve this
12 over time? The idea that you do a coexistence
13 analysis on day one, everybody signs off and then
14 no one ever does anything ever again seems wrong
15 both ways. So, we're trying to figure out a way
16 that we can have some changes over time. The role
17 of the NTIA in terms of making sure there's a full
18 representation of all agency views and trying to
19 get one coordinated view into the FCC. And
20 finally, enforcement. As I said, I think this
21 one's an area that may still change and we may
22 still have some additional points here, but

1 really, how do we make sure if you have these
2 coexistence arrangements?

3 There's compliance with those
4 arrangements, and how do we mitigate and identify
5 interference should it arise? I think a couple of
6 areas we've been talking still is should there be
7 penalties associated with that and should we be
8 looking at things in terms of reportable
9 interference before you get to the harmful
10 interference discussion? So, onto the next slide.
11 So I'm going to turn over to Donna to go through
12 the first five, just so you guys are keeping track
13 at home. There's ten of them, so don't fall
14 asleep after the first five, because I could talk
15 about the second five, but these are still very
16 much in draft. We still think they could change,
17 but I will say we've had probably three or four
18 different meetings just talking about the
19 recommendations. So, I felt strongly that we could
20 at least share the recommendations and give an
21 idea of where the subcommittee is heading. So, go
22 ahead, Donna.

1 MS. MURPHY: Thank you. And the full
2 representation idea and the coordination and
3 collaboration idea sort of weaves themselves
4 through all of our recommendations. And I think
5 that that's a theme we also see in a lot of the
6 other groups. We start out because we didn't want
7 to put this in every single recommendation
8 explaining that these were developed for this
9 frequency range and -- that is not -- and these
10 services. It wasn't really meant to be taken out
11 of context. You know, each context, as was
12 mentioned with one of the other groups, needs to
13 be evaluated to figure out the tools and the tools
14 that should be used.

15 Our first recommendation is regarding
16 the coexistence collaboration process, and it
17 talks about having a routine early step in the
18 spectrum decision making so that all of the full
19 representation can collaborate for the
20 coordination tools and techniques for this band.
21 I mean, for this frequency range. I knew I was
22 going to do it. I knew band was going to come up.

1 Second, statistical models and analysis.
2 This recommendation deals with the stakeholders,
3 all of the stakeholders, getting together to
4 develop guidelines for use of the statistical
5 models and analysis through coexistence, in the
6 first stage of coexistence. And then the modeling
7 taking into account having different metrics for
8 defining the risk of interference. In
9 recommendation 3, we talk about data transparency.
10 We recommend that the process be developed for the
11 filing and public availability of nonsensitive
12 data that's needed to model the radio frequency
13 environment for this frequency range.

14 And finally, recommendation 4 deals with
15 coexistence analysis update, and I think Tom
16 mentioned this before, that there needs to be a
17 process for updating coexistence arrangements both
18 on the federal and nonfederal level.
19 Recommendation 5, risk measures that we recommend
20 that NTIA translate interference in the radio
21 frequency realm into risk measures. The risk
22 measure could talk about the tolerance for

1 interference in a particular system. It could
2 also be used to model the statistical likelihood
3 of harmful interference. Risk can also include
4 the ability, or lack thereof, to adapt innovative
5 or next generation capabilities either in the
6 commercial or federal missions under the
7 coexistence arrangements. I'll turn over to you.

8 MR. DOMBROWSKY: So, the next two
9 recommendations are around propagation modeling.
10 If you go to the next slide there, Antonio. So
11 the first one is really suggesting that if we're
12 looking at the 5-16 gigahertz frequency range, we
13 really need to improve and inform propagation
14 modeling. So do some measurements. We know ITS
15 has been working in the lower 3 gigahertz range.
16 We think sort of extending this to this other
17 range if we really want to have an honest
18 discussion about it, makes sense. And in
19 accordance with that, is suggesting, creating a
20 working group that includes pretty much all the
21 affected stakeholders to actually engage in what
22 kind of measurements and how to actually analyze

1 the measurements and data that's actually provided
2 from that effort.

3 And then finally, in terms of inclusive
4 analysis and recommendation 8, we're talking about
5 having NTIA have full representation of the agency
6 views, concerns analysis to get the one
7 coordinated view. Trying to avoid the need for
8 federal agencies to publicly or nonpublicly
9 supplement records of their views and facilitate
10 the direct discussions between the federal and
11 nonfederal entities to really vet these kind of
12 analysis upfront. So, we are not sort of stuck in
13 a sort of endless -- where one party says they
14 weren't represented and didn't get their points
15 across during the early parts of the process. And
16 then finally, recommendations

17 and 10 are really enforcement related.
18 And again, I think we may supplement these, either
19 change them or add to them. And it's really about
20 how do we make sure that you mitigate any
21 inference that might occur when you set up these
22 sort of coexistence analysis, and how do you

1 ensure that people actually comply with the
2 agreements themselves. So, I think that was it.
3 Next slide. Yeah.

4 So we're happy to take questions and
5 like I said, I think we're optimistic. We have
6 another meeting first week of October. We've got
7 a current draft with more red lines and discussion
8 points. I'm hoping we put it to bed, and if not,
9 then I'll threaten the committee with having daily
10 meetings until we're done include, you know,
11 holidays and weekends. But I am pretty confident
12 we're getting close because I feel like we've made
13 really good progress in the last few weeks and we
14 just couldn't quite get the draft report to
15 everybody here today. But we each got
16 recommendations.

17 MS. RATH: Thank you. Any questions for
18 Tom and Donna?

19 MR. SPEAKER/Q8: Thank you. Thank you,
20 Tom. So, question about the working group on
21 propagation. What exactly do you expect the
22 working group to accomplish and in what kind of

1 time frame?

2 MR. DOMBROWSKY: We didn't really put a
3 time frame on it. And again, I think the thought
4 is, you know, first you have to get the
5 measurements and have parties involved in
6 determining what those measurements would be. So
7 I think our thinking is the working group would
8 help inform what should be measured, how it could
9 be measured, which bands are important, which
10 system should be measured, how do we actually put
11 together this sort of testing regime and get those
12 measurements done? And then what do you do once
13 you have those measurements to actually figure out
14 how a propagation tool could be either tuned or
15 improved, et cetera, to better map, you know,
16 aeronautical radar, commercial wireless
17 interactions?

18 MS. WARREN: Jennifer Warren. It's an
19 observation, not a question. I think when we've
20 been struggling a little bit in the group, and I
21 have to first commend Tom and Donna both. They
22 have done a tremendous job, and I know you will

1 continue to do that tremendous job to get us to
2 the end here. But one of the things that I think
3 we struggle with is the fact that there's a
4 breadth question here, 5-16 gigahertz frequency
5 range. It's an enormous range with far more there
6 than federal aeronautical radars.

7 So when we talk about a lot of the
8 recommendations here, which are good
9 recommendations in many contexts, as Donna
10 predicated our entire discussion with it has only
11 been a process and a focal point for commercial
12 wireless and aeronautical radar. There are many
13 other commercial and federal uses in that
14 frequency range. So much -- I think it's what we
15 continue to have to talk about, and I understand
16 why it got narrowed down to those services, but
17 perhaps in the future a recommendation to NTIA
18 would be to narrow down the frequency range. If
19 we want to have something less generic, then we're
20 able to give to you with the question as modified;
21 is that fair?

22 MR. DOMBROWSKY: Yeah, I think it's

1 fair. I think when I had understood in NTIA's
2 clarification was to really focus in on radar
3 because they felt like terrestrial to terrestrial,
4 they knew how to do it, and they knew different
5 other ways to do it, so they really wanted to
6 focus on that. But your point is on the frequency
7 piece is well taken.

8 MS. RATH: Thank you. Paul Margie
9 (phonetic) is up next.

10 MR. MARGIE: First, great presentation,
11 that was really useful, thank you. I took it that
12 the analysis that you're talking about is all kind
13 of a probabilistic analysis. Did you see in the
14 interviews that there were folks that were still
15 saying we should be doing this as kind of a
16 traditional static link budget analysis, or was
17 there just general agreement that we're now in a
18 world where the appropriate way to do it is
19 probabilistic?

20 MR. DOMBROWSKY: I don't think we got
21 agreement from any interviewees. I think it was
22 more of, okay, that's what you want to do. Well,

1 we haven't really thought about that, and we're
2 happy to engage on that, but no one sort of pushed
3 one way or another, other than to sort of say, we
4 hear what you're saying, that could be
5 interesting. But we've never really done that, at
6 least with the federal folks, which has made most
7 of our interviews were on the federal side. They
8 didn't really -- they don't have the sort of
9 bandwidth to do it. They don't have the data to
10 do it.

11 And so, I think they were open to the
12 idea, but they were still sort of trying to get
13 their head wrapped around how would you do that
14 for their particular systems and services?

15 MR. MARGIE: Because I mean, I don't
16 know if this is your experience, but I think there
17 are folks that are in agencies that are really
18 expert at probabilistic analysis and are really,
19 really good, often not always just in wireless
20 matters. But there are folks that are great at
21 probabilistic analysis and there are others where
22 that just hasn't been something that they've had

1 to do and it's part of their jobs. And I wonder
2 if one thing that NTIA could do would be getting
3 people more comfortable with the general kind of
4 tools that are out there for probabilistic
5 analysis, for that to be a more common expertise
6 among these agencies. Because I think once people
7 get more comfortable with it, they understand how
8 powerful a tool it is and become less insistent on
9 things that are nonstatistical analyses and are
10 difficult to do.

11 The other point I wanted to make was you
12 mentioned that one of the recommendations is to
13 establish kind of an interference figure, a
14 harmful interference figure. Am I taking that
15 wrong? I mean, it seems like a huge part of the
16 fight is figuring out what is the metric? Is it a
17 metric that's looking at real world downtime or is
18 it one that's meeting a particular Iren figure or
19 what that is?

20 MR. DOMBROWSKY: Yeah, no, we definitely
21 were not going down the wormhole of harmful
22 interference because for those of us that have

1 done that too many times, it's sort of a pointless
2 exercise. What we were talking about is a risk
3 measure. So, figuring out if you are the federal
4 agency or if you're the commercial wireless
5 provider with these coexistence, what level of
6 risk are you comfortable with? Because if you
7 think about this in terms of a cumulative
8 distribution function, where on the curve are you
9 comfortable living? And that's the place that
10 we'll then look at when we do the coexistence
11 analysis, once we have agreement that that is what
12 you need and where you're comfortable with. So
13 it's going to be very agency by agency, commercial
14 entity by commercial entity kind of process. And
15 we definitely were not going to try and define
16 harmful interference or any metrics on that.

17 And then the last thing, just to your
18 first point, I wanted to sort of fill in. I feel
19 really bad that we were not able to deliver the
20 draft report because there was some very good work
21 going through all the other agencies and sort of
22 risk analysis that they do as part of that. So

1 that will be part of the full report. And it
2 builds on that sort of recommendation to take a
3 look at what other agencies are doing and to try
4 and form it towards spectrum rather than these
5 other areas that other parts of the federal
6 agencies have looked at risk-based analysis.

7 MR. MARGIE: That's great. And then
8 just maybe a more general observation, not just
9 for this group, but in general, I think it's
10 striking that you're now hearing multiple groups
11 all saying that improvements in propagation
12 modeling are important to a whole range of the
13 questions that NTIA asked. And so, like the
14 nontechnical infrastructure that makes sharing or
15 interference analysis or whatever else, you know,
16 subcommittee after subcommittee after subcommittee
17 is saying that we rely on these probability models
18 that are, some of them kind of old. They're not
19 always built to the purpose that we're trying to
20 the jobs that we're trying to do. And I think
21 that's a thing that the government could do, which
22 is invest in making those better and more up to

1 date and more updatable for all three of the
2 questions, I think, today.

3 MR. DOMBROWSKY: Yeah. And to be
4 brutally honest, most of propagation model
5 information has come from federal government work
6 in the past. So, it's consistent and builds on
7 that. And it's just we were focusing in sort of
8 saying there's not a lot here in 5-16 that we can
9 rely on that has been measured, validated, tuned,
10 et cetera, et cetera.

11 MS. RATH: I guess we have one more from
12 Karl and then it looks like Carolyn as well.

13 Mr. NEBBIA: Karl Nebbia. So, I just
14 wanted to mention that the recommendations and
15 inputs, as we've talked about, are linked to this
16 band. They are very generic in nature. There --
17 but you will not find in the report, as far as I
18 know, for instance, somebody -- us discussing how
19 would the new -- these new propagation tools be
20 applied specifically to this band range and these
21 services. You will not find that in the report.

22 For instance, when we went through the

1 radar altimeter problem, people were shocked, of
2 course, that wireless industry, a couple of
3 hundred megahertz away, could cause interference
4 into these radar forms. There wasn't much data on
5 their characteristics and so on. But we don't,
6 for instance, approach that same question here in
7 terms of figuring out the interference problem of
8 potentially high-power transmitters transmitting
9 in an adjacent band next to radars in this range.
10 We didn't approach the subject in that way, is all
11 I'm saying. We approached it more on what are
12 approaches to improvement that we could do in
13 these ranges without getting into the specific,
14 you know, we got this adjacent band problem or
15 whatever.

16 MS. MURPHY: So just to comment on the
17 risk portion. In addition to differences in risk
18 measures, risk tolerance across organizations,
19 they can also differ on a system level. So, some
20 systems that are safety critical will have
21 different risk tolerances, like Lazine (phonetic)
22 or mundane systems.

1 MS. RATH: Jennifer Warren.

2 MS. WARREN: I'm just going to comment
3 on something that Karl said because you mentioned
4 high power. We made no assumptions as far, as I
5 can recall, in the report about what commercial
6 wireless service would be, whether it would be
7 CBRS like, whether it be high power, low power.
8 There are no assumptions in there on that. So, I
9 just wanted to make that clear. So, somebody could
10 have misinterpreted that we're assuming high
11 power.

12 MR. AREFI: Thank you. Two comments.
13 One, with respect to the propagation modeling
14 again. So, I have some engagement in the IT group
15 that is working on the main propagation model for
16 your purpose basically, and ITS has been
17 contributing to that, but most of those
18 measurements are around PCS spectrum 1.8, 1.7.
19 And so, I don't know, maybe they are doing it, but
20 if not encouraging them to do more in the entire
21 5-16 frequency range, I think it's good because we
22 are facing some lack of data in order to update

1 the model in the IT.

2 The other comment I was going to make
3 was with respect to the interference criteria in
4 the coexistence studies involving radars. For
5 years, we always faced the situation of using
6 deterministic link-budget-type approach to
7 calculate an I over N or worst case, I over N,
8 right? Now, agencies have moved away from that.
9 Now they have started implementing Monte Carlo
10 simulations and all that. But still the topic of,
11 okay, where do you exactly draw the line was not
12 very clear and there were disagreements on that.

13 I think we have agreed on in the past
14 couple of years, for studies towards WRC, was that
15 when it comes to radars, looking at more than just
16 one point gives you suddenly a whole lot more
17 information in this way that you look at the --
18 where exactly -- which points are exactly these
19 worst I over Ns, right? And by what margin are
20 you off when you are crossing the I over N? It's
21 just .1 DB or is it 10 DB? Looking at a wider
22 range of -- and this is possible when you do

1 statistical analysis, it's just that it has not
2 been exactly the method to look at it. But
3 gradually I hope we can all move towards that
4 larger picture in order to determine the impact.
5 Thank you.

6 MS. RATH: There are no more questions
7 in the room. Are there any questions on the
8 phone?

9 MR. HATFIELD: This is Dale, can you
10 hear me?

11 MS. RATH: We can, Dale.

12 MR. HATFIELD: One of the things that
13 this discussion led me to think about, again,
14 excuse me, again, is the intermod problem. You
15 start talking about high power and so forth.
16 Intermod, and that becomes -- becomes a bit of an
17 issue. And in general, I don't think we have
18 addressed the intermod problem as much as perhaps
19 we -- perhaps we should have. Thank you.

20 MS. RATH: Thanks, Dale. Any other
21 comments from the phone or around the room before
22 we move on? Great. And I think Mariam wanted to

1 say something quickly.

2 MS. SOROND: Yes, thank you. Actually
3 this is a comment, we have a wonderful
4 subcommittee of CBRS. I'm just echoing Louis's
5 comments. So, Louis, you want to speak to
6 yourself, go for it? Otherwise --

7 MR. PERAERTZ: Yeah. Can you guys hear
8 me?

9 MS. SOROND: We can hear you.

10 MR. PERAERTZ: Okay, great. So, I just
11 wanted to thank NTIA, Nick LaSorte (phonetic),
12 Scott Harris, and any other folks that were
13 involved from NTIA. I know Charles Cooper was
14 also involved. In working with the FCC to issue a
15 public notice that essentially moved the time that
16 fastest needed to reauthorize CBSDs from five
17 minutes up to one hour when you're in 3,500 to
18 3,700 megahertz. But outside of a DPA activation
19 neighborhood and also doing the same thing when
20 you're between 3,650 and 3,700, even if you're in
21 a DPA activation area. So that was -- that's a
22 major help to wisps (phonetic) and I just wanted

1 to thank you for that.

2 MS. RATH: Thanks, Louis. Before we
3 move on to the public comments section, two
4 things, just some process comments again and then
5 we'll turn it back to Scott for any of you who
6 have questions for him. Just wanted to remind
7 folks, we've already talked about it a few times.
8 We have a final meeting in December, December 19th
9 I believe it is, and what you've been given today
10 have been a series of recommendations from the
11 three subcommittees. We've had a very good,
12 robust discussion around this. I'm sure the
13 subcommittee chairs as well as members of the
14 subcommittee have heard that they'll be
15 incorporating comments back in for a vote that
16 will take place at our meeting on the 19th.

17 Also, as was mentioned earlier, the
18 Electromagnetic Compatibility Improvement
19 subcommittee never sure, should I call it the
20 ECMI, MCI?

21 MS. SOROND: ECI.

22 MS. RATH: ECI is good? Okay, good. I

1 don't need the end in there -- too many letters.
2 Okay. So, they will be sending out their report
3 fairly quickly. Again, I'm reminding everyone
4 this is an opportunity for the full CSMAC to
5 review comment on it, get your comments back in,
6 so that what you're voting on, you know, either
7 your comments have been incorporated or there's
8 been discussion of the subcommittee that they
9 don't like the comments, that they don't agree but
10 you need to generate that kind of discussion.

11 The same thing will happen with the CBRS
12 subcommittee. So just a reminder to folks that
13 it'll be a little differently. Usually, we try and
14 have all of that in the meeting before, but we've
15 all been, you know, this has been, you know, in
16 particular for a couple of the subcommittees, it's
17 been, you know, a lot of interviews and a lot of
18 time spent and therefore, you will be expected to
19 review and comment over the next several weeks.
20 So that what you'll have when we come back is a
21 full committee, you know, something you can vote
22 on.

1 MS. MANNER: And we are asking for the
2 committees to get their reports in. We're
3 cognizant of the WRC.

4 MS. RATH: Yes.

5 MS. MANNER: So, one of the things we've
6 worked out with our CFO Antonio is to have a due
7 date for the reports in advance of that so that
8 people will have some time. I know it puts the
9 Chairs under increased pressure, but because of
10 the WRC this year and we know a number of people
11 in this room will be there, at least for part of
12 it, if not all of it. That's something that's
13 important and we need to make sure people have
14 enough time. And that's part of the reason for
15 the December 19th day. It's the WRC runs very
16 late, so we apologize for that, but trying to
17 manage schedules.

18 MS. RATH: Thanks, Jennifer. Looks like
19 Karl may have a comment.

20 Mr. Nebbia: Yeah, just a quick
21 question. So, the versions that are going to be
22 going out for a formal review before that December

1 19th meeting. Who are they going to come from?

2 Once again, we have lots of --

3 MS. RATH: We'll -- we'll walk that
4 through with Antonio, but they'll be officially,
5 you know, they will be posted, and presumably they
6 will come from Antonio as the DFO. But -- and
7 he's nodding for those of you not in the room. So
8 it looks like that is the way that we'll do it.
9 And again, what you've got in front of you are
10 draft recommendations for all the subcommittees
11 and a draft report from one of the subcommittees.
12 So you've already -- you already got work to do,
13 and we've already gotten a number of comments on,
14 you know, this afternoon, so I think this has been
15 very helpful. Any other comments before we move?
16 Paul?

17 SPEAKER: That's okay.

18 MR. MARGIE: I'm sorry. I said process
19 point. I'm taking it that means that if somebody
20 has a big picture or substantive issue with
21 something here, this is the time to tell the
22 subcommittee chair rather than waiting until they

1 get a final report right? So just try to front
2 load some of that.

3 MS. RATH: Well, if you'd like it to
4 actually be in the report and not have to vote no
5 because you don't like --

6 MR. MARGIE: Right.

7 MS. RATH: -- to take it in. You need
8 to be commenting now on this. This is the whole
9 point of having the draft period. Jennifer, you
10 look like you have a question, our longtime member
11 here.

12 MS. MANNER: Okay. So, I think that's
13 true. On the 6G. On whatever report has been
14 distributed. But to the -- to have your comments
15 included in the report, you've got to wait till
16 you get the draft --

17 MR. MARGIE: --.

18 MS. MANNER: -- that you have to raise
19 any issues based on the charts. That's all.
20 Yeah.

21 MS. RATH: No, that's fair. And I think
22 you've still got a lot of opportunity right now to

1 comment on everything, but that's fair. But there
2 is a distinction between, you know, having a full
3 draft report in front of you right now versus you
4 still have an opportunity to get comments in to
5 the draft report so you can have double time. You
6 know, you have opportunity to get comments in to
7 the draft reports of two of the subcommittees, and
8 then you have opportunity to comment on the draft
9 reports. Does that make sense to everybody? All
10 right, questions for Scott next.

11 MR. HARRIS: And do not feel obliged.
12 So it was very clever of me putting questions to
13 the end. All right, good for me.

14 MS. RATH: We'll keep that in mind. Any
15 questions from the phone, though? Those of you on
16 the phone?

17 MR. MICHAEL: Michael. I was just
18 curious for a clarification. Scott, of what you
19 mentioned about the CBRS heartbeat change and
20 Louis, thanked you for. Is that now final, or did
21 you -- did NTIA just approve? --?

22 MR. HARRIS: I think it was sent to the

1 commission. That's a good question.

2 MS. MCARTHY: Yeah, this is Jennifer
3 McCarthy. The FCC put out a public notice.

4 MR. HARRIS: That was today, wasn't it?

5 MS. MCARTHY: Yeah.

6 MR. HARRIS: Oh, okay. I didn't see it.
7 Thank you. Yeah.

8 MR. SPEAKER: It two days ago.

9 MS. RATH: It was Tuesday. We released
10 the --.

11 MS. MCARTHY: Yeah, I think it came in
12 yesterday, but at any rate, it's available.

13 MR. HARRIS: Whenever. It's a good
14 thing.

15 MS. RATH: It's a good thing. All
16 right. Anything else before we move to the next
17 segment of the meeting? Okay, terrific. Now we
18 have an opportunity for public comment. Antonio,
19 hang on a second.

20 MR. SPEAKER: It's just a process
21 question. If the government does shut down, do we
22 continue to meet or are we not allowed to since

1 we're special government?

2 MS. RATH: I am not able to answer those
3 sorts of questions. So, what's the answer?

4 MR. AREFI: No, they're not allowed to
5 if the government shuts down.

6 MS. RATH: You know, I don't know.
7 We'll take that under advisement. Oh, great.
8 Well, this is this has been a lively group here.
9 Okay.

10 MR. SPEAKER: Sorry, just to follow up
11 on that, but just to understand whether it's
12 because of the government shutdown or any other
13 reasons. What is the process that if we say, hey,
14 we can't make it by December, we need extensions?

15 MS. RATH: Why don't we cross that
16 bridge when we come?

17 MR. SPEAKER: Okay.

18 MR. HARRIS: Yeah. Because I can't
19 answer that question. I think we have had things
20 slide to the next session, but ideally, I think,
21 you know, that used to happen a lot more than it
22 does now, and I think NTIA would prefer to have

1 the questions not have that happen. But I should
2 not speak for NTIA unless NTIA would like to
3 address that.

4 MR. AREFI: It would be advised --
5 should be done by the end of this year, the
6 charter runs out.

7 MS. RATH: All right, are we now
8 settled? Anybody else from the CSMAC want to say
9 anything? I will try again. Opportunity for
10 public comment, I think, Antonio, you have unmuted
11 the non-CSMAC members, and we do have some public
12 in the room.

13 MR. ANTONIO: Yes, it's open. The mic's
14 open. Anyone from the public can speak. Anyone
15 from the public in the room can also speak. Go
16 for it.

17 MS. RATH: No? Nothing? Anyway, since
18 I'm not hearing anything and there's been plenty
19 of time for, I think we're able to move on to the
20 next segment. And let me just start out by making
21 a few remarks. First off, again, these three
22 committees and then the committee that has, you

1 know, produced its work, Dennis and Paul's
2 committee earlier in very quick turnaround time.
3 I really, you know, I don't want to overuse the
4 word impressed, amazed, or whatever. The
5 collaboration, the level of engagement, the number
6 of interviews that you all have been doing. Which
7 brings up just a slight thing that for future
8 CSMAC, we should actually probably coordinate in
9 advance when we do these interviews, because you
10 probably noticed a fair amount of overlap.

11 And just a point to make, it's not any
12 kind of, you know, there's nothing wrong with it.
13 We're sort of learning. I don't think we've ever
14 had this many committees do this many interviews
15 at once, but I think as a result, we're -- I'm
16 already seeing that, I think, we're going to see
17 very robust reports and the recommendations, as
18 we've seen, are incredibly good. I do take to
19 heart, you know, what both Donna and Jennifer were
20 talking about earlier. That anytime you make a
21 recommendation, you know, keeping full in mind
22 that there are a number of different agencies that

1 have different missions, they have different
2 goals. And also just this idea of, you know, and
3 I'm not quite sure how we do it, but it's good
4 advice is, you know, how do we make
5 recommendations that we then know can be
6 implemented or at least attempted to be
7 implemented?

8 And I think that's a hard thing. And we
9 can learn by, you know, many previous years of
10 experience among, you know, some of the
11 subcommittee members who have been with us for a
12 while, as well as former OSM heads who have been
13 through this as well. But I also just want to
14 say, again, thank you to NTIA for the incredible
15 level of engagement of the liaisons and to the
16 FCC. Because I know you're covering a lot of
17 different bases, Jessica, but it has been terrific
18 to have the FCC very engaged. You know, we always
19 thank the committee members, but we can't do it
20 without your help.

21 And you've been great at getting
22 questions answered, at helping us define things

1 better. So again, just wanted to say that and
2 turning it over to my Co-Chair for her remarks.

3 MS. MANNER: I've used the word in awe.

4 MS. RATH: There you go. That's to add
5 another word.

6 MS. MANNER: But I won't spend much
7 time. I've already said how impressed we are, but
8 want to thank you all. I also want to thank
9 Antonio. Antonio is our heart and soul. And so,
10 we know that -- him, you know, he goes -- Charla
11 and I talk to Antonio quite a lot and logistically
12 and just keeping getting everything set up and
13 make sure everything works well and that all the
14 people are writing him and getting Scottie here on
15 time. You know, takes a lot of. So, we appreciate
16 it. And with that, and I can tell you, you can
17 blame me for choosing the late December meeting
18 because of the WRC, so I apologize. I don't know,
19 Jennifer just mailed something to me which
20 hopefully wasn't evil. But I do want to say thank
21 you all and wish you a good rest of the afternoon.

22 And we look forward to working with the

1 subworking group chairs and all the committee
2 members on bringing this to a successful
3 conclusion in December 19th, and hoping that the
4 U.S. Government stays working. So, with that, I'd
5 like to adjourn the meeting. Antonio, I don't
6 know if you have anything else you want to add.
7 Okay, so thank you, everyone. Bye.

8 (Whereupon, at 2:56 p.m., the
9 PROCEEDINGS were adjourned.)

10 * * * * *

11 I Charla Rath and Jennifer Manner do hereby certify this
12 transcript as Co-Chair of the Commerce Spectrum
13 Management Advisory Committee.

14

15

16

17


18

19

20

21

22

Handwritten signatures of Charla Rath and Jennifer Manner. The signature on the left is for Charla Rath, and the signature on the right is for Jennifer Manner.

1 CERTIFICATE OF NOTARY PUBLIC

2 COMMONWEALTH OF VIRGINIA

3 I, Stephanie Kern, notary public in and
4 for the Commonwealth of Virginia, do hereby certify
5 that the forgoing PROCEEDING was duly recorded and
6 thereafter reduced to print under my direction;
7 that the witnesses were sworn to tell the truth
8 under penalty of perjury; that said transcript is a
9 true record of the testimony given by witnesses;
10 that I am neither counsel for, related to, nor
11 employed by any of the parties to the action in
12 which this proceeding was called; and, furthermore,
13 that I am not a relative or employee of any
14 attorney or counsel employed by the parties hereto,
15 nor financially or otherwise interested in the
16 outcome of this action.

17

18 (Signature and Seal on File)

19 Notary Public, in and for the Commonwealth of
20 Virginia

21

22

