

U.S. DEPARTMENT OF COMMERCE  
+ + + + +  
COMMERCE SPECTRUM MANAGEMENT  
POLICY ADVISORY COMMITTEE  
+ + + + +  
COMMITTEE MEETING  
+ + + + +

THURSDAY,

MARCH 4, 2010

+ + + + +

The Commerce Spectrum Management Policy Advisory Committee met in the Diplomatic Boardroom of the Herbert C. Hoover Building, 1401 Constitution Avenue, N.W., Washington, D.C., at 9:00 a.m., Bryan Tramont and Dale Hatfield, CSMAC Co-Chairs, presiding.

PRESENT:

DALE HATFIELD, Co-Chair

BRYAN TRAMONT, Co-Chair

MICHAEL C. CALABRESE, Member

MARTIN COOPER, Member

MARK E. CROSBY, Member

DAVID L. DONOVAN, Member

GARY EPSTEIN, Member

BRIAN FONTES, Member \*

HAROLD FURCHTGOTT-ROTH, Member

PRESENT: (Cont'd)

ROBERT M. GURSS, Member

KEVIN C. KAHN, Member

JAMES A. LEWIS, Member \*

DARRIN M. MYLET, Member

RICHARD REASER JR., Member \*

GREGORY ROSSTON, Member

R. GERARD SALEMME, Member

JENNIFER WARREN, Member

\* via telephone

## T-A-B-L-E O-F C-O-N-T-E-N-T-S

## Welcome and Opening Remarks

Dale Hatfield and Bryan Tramont, CSMAC Co-Chairs . . . . .	.5
Anna M. Gomez, Deputy Assistant Secretary of Commerce for Communications and Information . . . . .	.7

## Presentations

John Leibovitz, Deputy Chief of Wireless Telecommunications Bureau, Federal Communications Commission . . . . .	11
Discussion period . . . . .	33
Karl Nebbia, Associate Administrator, Office of Spectrum Management, National Telecommunications and Information Administration. . . . .	46
Discussion Period . . . . .	68
Ten-Minute Break. . . . .	84
Overview of the Meeting . . . . .	84

Subcommittee Status Reports and Discussion of  
Draft Reports

Mark Crosby and Jennifer Warren, Spectrum Inventory Subcommittee . . . . .	86
Discussion Period . . . . .	89
Darrin Mylet, Transparency. . . . .	122
Subcommittee Discussion Period . . . . .	129
David Donovan, Adjacent Band/Dynamic Spectrum Access Subcommittee. . . . .	139

T-A-B-L-E O-F C-O-N-T-E-N-T-S (Cont'd)

Discussion Period . . . . .143

Michael Calabrese, Incentives

Subcommittee. . . . .146

Way Forward - Completion of Reports

and Future Work . . . . .148

Public Comment. . . . .172

Schedule Next Meeting . . . . .179

Adjourn

1  
2  
3  
4  
5  
6  
7  
8  
9  
10  
11  
12  
13  
14  
15  
16  
17  
18  
19  
20  
21  
22

P-R-O-C-E-E-D-I-N-G-S

9:15 a.m.

CO-CHAIR HATFIELD: Why don't we get started. I'd like to call the third Commerce Spectrum Management Advisory Committee of the second series, the third meeting of the second series of CSMAC, the meeting to order.

And it's been suggested that maybe we go around the table. I think everybody knows everybody, but why don't we just make the record clear and so forth, go around the table one time and introduce ourselves. And then I'll turn it over to Anna Gomez.

So, why don't we start down here and go around the group then. Bob.

MR. GURSS: Bob Gurss, Association of Public-Safety Communications Officials.

CO-CHAIR HATFIELD: Remember, we should use the microphones when we can.

MR. GURSS: Bob Gurss with APCO.

MR. FURCHTGOTT-ROTH: I'm Harold

1 Furchtgott-Roth with Furchtgott-Roth Economic  
2 Enterprises.

3 MR. EPSTEIN: I'm Gary Epstein, EVP  
4 at SkyTerra.

5 MR. COOPER: I'm Marty Cooper. I'm  
6 the -

7 (Off the record comments.)

8 MR. CALABRESE: Michael Calabrese,  
9 New America Foundation.

10 CO-CHAIR TRAMONT: Bryan Tramont,  
11 Wilkinson Barker, co-chair.

12 MR. LEIBOVITZ: John Leibovitz with  
13 the FCC.

14 MR. CROSBY: Mark Crosby, EWA.

15 MS. WARREN: Jennifer Warren,  
16 Lockheed Martin.

17 MR. MYLET: Darrin Mylet, Adaptrum.

18 MR. SALEMME: Gerry Salemme, Eagle  
19 River.

20 MR. ROSSTON: Greg Rosston,  
21 Stanford.

22 MR. RAY: Neville Ray, T-Mobile

1 USA.

2 DR. KAHN: Kevin Kahn, Intel.

3 CO-CHAIR HATFIELD: Okay. Thank  
4 you. I'll turn the meeting then over - oh,  
5 I'm sorry. Thank you. I knew I would do  
6 that.

7 The people on the conference call,  
8 could you identify yourself, please? Hello?

9 MR. FONTES: This is Brian Fontes,  
10 National Emergency Number Association.

11 CO-CHAIR HATFIELD: Thank you.

12 MR. REASER: Rick Reaser, Raytheon.

13 MR. LEWIS: Jim Lewis, CSIS.

14 CO-CHAIR HATFIELD: Anybody else?  
15 Okay. Why don't, then, I turn it over to Anna  
16 Gomez who of course is Deputy Assistant  
17 Secretary of Commerce for Communications and  
18 Information here at NTIA.

19 DEPUTY ASSISTANT SECRETARY GOMEZ:

20 Well, good morning. It's my pleasure to  
21 welcome you again to the Department of  
22 Commerce for this meeting of the Commerce

1 Spectrum Management Advisory Committee.

2 Larry Strickling, our Assistant  
3 Secretary, is testifying this morning, which  
4 is why he can't be with us today and he sends  
5 his regards.

6 I want to thank our co-chairs Dale  
7 and Bryan, and all the members, for your  
8 extraordinary commitments of time and energy  
9 to this committee. I know you have been  
10 exceptionally active and have worked hard  
11 within your sub-committees to define issues  
12 and produce some draft reports.

13 Now, it's a truism that good  
14 spectrum policy is as important as ever. We  
15 can't of course rest on our laurels. And with  
16 being weeks away from the release of the  
17 National Broadband Plan, it is more and more  
18 apparent that good spectrum policy is the  
19 foundation for good broadband policy.

20 Now, what we're looking at as  
21 we're moving forward, is ways to use a new and  
22 more efficiently spectrum that can make a

1 significant contribution to a more competitive  
2 broadband internet access marketplace.

3 Research and development can lead to these new  
4 and innovative spectrum access technologies,  
5 and these can spur a new round of innovation  
6 that will increase domestic spectrum  
7 efficiency through sharing an opportunistic  
8 use.

9 If there's one thing we know about  
10 spectrum, is that there is increasing scarcity  
11 in beachfront properties. So, if we're going  
12 to get better at expanding the availability  
13 and affordability of broadband, we need to get  
14 better at sharing between federal users,  
15 between commercial users, and between federal  
16 and commercial users. We need your expert  
17 advice on this issue.

18 Now, the reports that you've been  
19 working on for today's meeting as well as for  
20 further discussions on spectrum, inventory,  
21 transparency, adjacent band interference,  
22 dynamic spectrum access and incentives will

1 lead the way in spectrum management.

2 What we want to emphasize to you  
3 is to be as specific as possible about the  
4 actions that NTIA can take to implement your  
5 recommendations.

6 As always, I don't know how this  
7 happens, the work is just beginning and it's  
8 going to continue as you continue to define  
9 and explore these issues in your future work  
10 and advice to NTIA.

11 So, I want to thank you again and  
12 let you guys get started. And with that I  
13 will turn it back to our co-chairs Dale and  
14 Bryan.

15 CO-CHAIR HATFIELD: Okay. Thank  
16 you so much.

17 DEPUTY ASSISTANT SECRETARY GOMEZ:  
18 Thank you.

19 CO-CHAIR HATFIELD: Very helpful  
20 remarks and very helpful reminders. We're  
21 going to follow the format that we've done  
22 previously. We'll start with two

1 presentations, and then we'll of course turn  
2 to the reports from some of the sub-  
3 committees.

4 And so I'd like to turn the podium  
5 over, if you will, to John Leibovitz, of  
6 course, who I'm sure most of you know is the  
7 Deputy Chief of the Wireless Bureau at the  
8 Federal Communications Commission. He will be  
9 talking about his view of spectrum from the  
10 Commission standpoint and in relation to, of  
11 course, the National Broadband Plan which  
12 we're all anxiously awaiting the release of.

13 John.

14 MR. LEIBOVITZ: Thanks, Dale, for  
15 the introduction. And, Anna, thanks to you  
16 and Larry for your leadership at NTIA.

17 At the FCC, we consider ourselves  
18 fortunate to have good friends at the NTIA,  
19 many of whom we've spent long hours in  
20 windowless rooms during the transition over a  
21 year ago. Which seems like a really long  
22 time, but it was only a year ago.

1                   And thanks to Dale and Bryan for  
2                   stewarding this CSMAC. I think one motion  
3                   today might be to add another vowel to  
4                   acronym.

5                   (Off the record comments.)

6                   MR. LEIBOVITZ: But the NTIA is  
7                   fortunate to have a solid group of outsider  
8                   spectrum experts - well, insider/outsideers to  
9                   advise the NTIA and it's a good to see a lot  
10                  of people here that I've come to know over the  
11                  past year and beyond. So, for those of you I  
12                  haven't met, it's nice to meet you as well.

13                  On behalf of the FCC and Chairman  
14                  Genachowski, I'm here to talk about the  
15                  National Broadband Plan which, as you know, is  
16                  due to be released on March 17th. And  
17                  actually, the deadline was moved a month  
18                  because the dog ate our Broadband Plan. Which  
19                  means that my well-planned vacation this past  
20                  week wasn't very well planned, and I'm here to  
21                  report to everyone that especially with  
22                  offshore bank accounts, that there is

1 BlackBerry service in the Cayman Islands.

2 It's just 2.5G, not 3G.

3 Okay. So, let's talk about the  
4 National Broadband Plan. The National  
5 Broadband Plan, as everyone knows, is the  
6 Recovery Act's special homework assignment for  
7 the FCC.

8 While the NTIA has been hard at  
9 work on the BTOP grants which were designed to  
10 stimulate broadband economic activity in the  
11 near term, the FCC has been working on a  
12 comprehensive plan for the longer term and  
13 it's been a lot of work.

14 The Recovery Act was not modest in  
15 its aspirations, so our charter has been to  
16 look at some of the broad structural issues in  
17 broadband; deployment, adoption, utilization,  
18 growth. And obviously each of these alone is  
19 a huge topic, but also the Act required us to  
20 go farther and focus on the potential of  
21 broadband to address big challenges in  
22 American life; healthcare, energy, public

1 safety, education, workforce development and  
2 so on. These are the outputs of broadband.

3 And as the chairman is fond of  
4 saying, broadband isn't the answer to any one  
5 problem, except maybe broadband, but it can be  
6 the solution to every - part of the solution  
7 to every problem. And so he's really  
8 encouraged us to think as we've gone through  
9 this process, not just about the sort of wonky  
10 detail policy details as they relate to the  
11 infrastructure, but also about how does this  
12 stuff really affect people's lives.

13 So, what have we been up to? Over  
14 the past nine months the FCC has, among other  
15 things, held dozens of workshops and field  
16 hearings with hundreds of experts, several of  
17 whom are in the room today, sifted through  
18 tens of thousands of pages of written  
19 comments, built and analyzed very detailed  
20 broadband deployment models. I'm a little bit  
21 of a model junkie. I've done a fair amount of  
22 modeling in my time, and I can say that some

1 of the models that were developed in this  
2 process are fairly impressive in their scope.

3 We've conducted very large-scale  
4 consumer surveys. We've reached out to  
5 partners throughout the federal, state and  
6 local governments. And we've even taken trips  
7 abroad to exchange best practices with  
8 government industry leaders around the world.

9 And probably the hardest part,  
10 we've worked to pull all of our learnings  
11 together into a consistent and coherent plan  
12 with actual recommendations on how to ensure  
13 US leadership with broadband.

14 We've been lucky to have a  
15 committed team of long-time FCC staffers, as  
16 well as a bunch of new folks coming from a  
17 diversity of backgrounds in business, in  
18 academia, public interest to help us pull the  
19 whole thing together.

20 And I've learned a lot of things  
21 during this process, but I could - I'll share  
22 one of them with you today, which is that hell

1 is a place where management consultants write  
2 the footnotes, and the lawyers sidecheck them.

3 (Laughter.)

4 MR. LEIBOVITZ: And I say this as a  
5 former management consultant - a lawyer turned  
6 management consultant.

7 So, we've also been lucky to have  
8 an insightful and collegial group of  
9 commissioners to bring a variety of viewpoints  
10 to the plan. And in particular given today's  
11 focus, I want to give a special thanks to  
12 Commissioner Baker. We've very lucky to have  
13 someone who knows a thing or two, or really  
14 two million things, about spectrum policy.

15 Commissioner Baker's thought  
16 leadership has been extremely valuable as  
17 we've gone throughout this whole process.

18 So, now before we turn to  
19 everyone's favorite topic which is spectrum,  
20 let's take a moment on the topic of mobile  
21 broadband. And I'm going to echo some of the  
22 remarks that the chairman made also week and

1 hopefully fill in some more details.

2 As the chairman explained in his  
3 talk with the New America Foundation last  
4 week, mobile broadband is emerging as one of  
5 the great innovation platforms in America both  
6 for innovation and for growth.

7 The chairman described a range of  
8 present-day examples where mobile broadband  
9 has already begun to improve real people's  
10 lives, and these examples really only hint at  
11 the possibilities of things to come.

12 So, he described things like the  
13 school bus that has become a rolling study  
14 hall because of cellular-connected wi-fi. A  
15 new category of energy apps that will allow us  
16 to adjust our usage and consumption on the  
17 fly. Mobile medical technologies to treat  
18 chronic conditions like diabetes, but also to  
19 help in emergency situations, in ambulances  
20 with first responders.

21 And more broadly he pointed out  
22 that, which is a remarkable fact, that

1 according to Gartner the apps economy, the  
2 sector of the economy that's been created by  
3 people developing new applications for  
4 devices, smartphones and other devices like  
5 that, is estimated around four billion  
6 dollars, and it was basically nonexistent a  
7 few years ago.

8 So, this is tremendous growth, and  
9 a lot of these apps are the brainchildren or  
10 small companies and entrepreneurs. And of  
11 course that's additive to all the  
12 infrastructure, investment that's going on at  
13 infrastructure and network. So, there's a lot  
14 going on which you all know, but it's  
15 important to reinforce the context.

16 To a lot of people, the ascent of  
17 mobile broadband reminds them of the early  
18 days of the PC or the internet, and has that  
19 feel of something that's creating whole new  
20 classes of enterprises both in the public  
21 sector and in the private sector.

22 And I should point out that when

1 we talk about mobile broadband, we're thinking  
2 about the broader ecosystem. So, obviously  
3 mobile broadband includes wireless access over  
4 licensed cellular networks, but it also  
5 includes Bluetooth and Wi-Fi and other  
6 unlicensed technologies which have proven to  
7 be very complementary, I think, over time to  
8 licensed broadband service.

9 Looking ahead, it also includes  
10 innovative access models which we're going to  
11 hear more about later on today, including  
12 opportunistic models that are now being  
13 developed and tested with support of the NTIA  
14 and others and some of the people in this  
15 room, and the plan will have something to say  
16 about those technologies as well as the more  
17 conventional ones.

18 The chairman pointed out last week  
19 that there's no guarantee that mobile  
20 broadband will reach its full potential.  
21 There are a lot of potential risk factors, but  
22 one of the greatest is that we simply don't

1 have enough network capacity to meet the new  
2 demand. So, the numbers are impressive and  
3 you've probably heard some of these before,  
4 but I will restate them.

5 So, AT&T reports traffic growth of  
6 over 5,000 percent over the last three years.  
7 I think that's probably up since they shared  
8 that number with us.

9 Cisco recently updated their  
10 wireless visual networking index forecast.  
11 They project an increase from 17 petabytes to  
12 740 petabytes by 2014. That's more than 40  
13 times.

14 Research conducted by Validas for  
15 Consumer Reports, suggests that the average  
16 iPhone user consumes over 270 megabytes per  
17 month.

18 T-Mobile at one of our workshops,  
19 reported that the average G1 user consumes  
20 about 300 megabytes per month. So, in a  
21 similar range.

22 The average mobile Aircard user

1 according to the same Consumer Report study,  
2 consumes about 1.4 gigabytes a month, and  
3 these numbers reflect tonnage hitting the  
4 mobile network. So in other words, this  
5 includes, and this is net of the benefits from  
6 offloading to Wi-Fi which some reports suggest  
7 can be as high as 40 percent of network  
8 traffic.

9           And then meanwhile they give a  
10 sense of where demand is going. Clearwire  
11 reported last week that customers are using on  
12 average, seven gigabytes per month. And that  
13 number increased dramatically when they  
14 upgraded their network to 4G.

15           So, it wasn't very - I'll just put  
16 in context it wasn't that long ago that a  
17 certain flip phone was the cutting edge device  
18 that we all coveted and only a few could  
19 afford, but now these kind of devices are  
20 being sold as impulse items in the grocery  
21 store next to bubblegum and batteries. So,  
22 it's pretty incredible what's happened in the

1 last few years.

2 And we have to ask ourselves, I  
3 think, what happens when every American has an  
4 advanced smartphone or an Aircard or both or  
5 some new device that hasn't been invented yet?

6 Today, over 25 percent of  
7 Americans are cord cutters, and what happens  
8 when these people on the move take the next  
9 logical step and really embrace mobile  
10 broadband?

11 This also includes the government,  
12 which is a big user of mobile broadband,  
13 including on commercial networks. Everyone  
14 from the Commander-in-Chief on down now  
15 depends on BlackBerry e-mail.

16 What happens when these people  
17 move to next generation apps delivered over  
18 mobile broadband? The answer is that we're  
19 going to need a lot more network capacity.

20 So, wireless wizards like Dale and  
21 Marty have taught that there are lots of ways  
22 besides adding spectrum to increase mobile

1 network capacity. You can upgrade to more  
2 efficient air interface technologies like LTE  
3 or WiMax. You can employ smart antenna  
4 techniques like beamforming or MIMO. You can  
5 increase spatial reuse through cell splitting  
6 or dense cell deployments.

7 I will be the first to admit that  
8 I am not the smartest person in the room on  
9 this topic. And neither is Blair Levin, but  
10 he's not in the room.

11 (Laughter.)

12 MR. LEIBOVITZ: But we've consulted  
13 with some pretty smart people both inside and  
14 outside the FCC. We've run sensitivity  
15 analyses, and our bottom line is that at the  
16 rate usage is increasing, even assuming  
17 increases in cell density are a spectral  
18 efficiency, we as a nation are going to need  
19 a lot more spectrum.

20 We've said it a few times before.  
21 It takes many years to bring a new spectrum to  
22 market. The history shows about six to 13

1 years. So, if we're talking about  
2 accommodating needs ten years from now, we  
3 have to take action now. Remember that the  
4 Cisco's 40 X forecast only goes to 2014, and  
5 that's less than halfway to 2010.

6 What happens if we don't have  
7 enough spectrum? Will the sky fall? The sky  
8 won't fall.

9 Economists will tell you that  
10 there is an indifference curve between  
11 capital and spectrum. And if we don't have  
12 enough spectrum, there is a cost to that. The  
13 cost is that networks will cost more to build  
14 and operate, quality will suffer, and  
15 ultimately prices will be higher, but at some  
16 point it's also impractical to add capacity  
17 without adding more spectrum.

18 Many people think about price as  
19 the carrier's main tool to ration capacity if  
20 demand grows too fast. And price might be  
21 that, the main tool, but we want to make sure  
22 that the US leads the world in low-cost, high-

1 performance mobile broadband. Betting our  
2 entire mobile future on a demand reduction  
3 strategy doesn't seem like the right approach  
4 from where we sit at the FCC.

5 We think, in sum, over the next  
6 ten years the US will need more spectrum.  
7 We've tripled our supply over the last few  
8 years. And while this will provide a runway  
9 for 4G, it won't be enough to keep pace with  
10 a 40 fold increase in demand, especially if we  
11 want a vibrant and competitive wireless  
12 marketplace.

13 So, with that as the backdrop,  
14 let's talk about the plan that the chairman  
15 described last week, that she described as the  
16 2020 plan, 2020 mobile broadband vision for  
17 America.

18 Chairman made several key points,  
19 and I'll elaborate on some of these today.  
20 First was the headline recommendation the US  
21 should make 500 megahertz available for  
22 broadband in ten years. Now, the wording of

1 this is very important. The recommendation  
2 speaks to broadband generally, not to  
3 exclusively licensed spectrum, not even to  
4 mobile use. We don't want to pick one  
5 technology paradigm over another. The  
6 recommendation acknowledges the potential for  
7 shared spectrum approaches or unlicensed  
8 allocations. So, again, it's over ten years.

9 We intend to work closely with our  
10 federal partners through the NTIA on  
11 developing a road map to get us to this 500  
12 megahertz goal.

13 Second, the bands. The chairman  
14 mentioned a number of bands in the mobile  
15 range as candidates for policy changes to meet  
16 our broadband goals, of course the TV bands  
17 which account for hundreds of megahertz with  
18 ideal propagation characteristics, but also  
19 the MSS and WCS bands. And we won't limit  
20 ourselves to those specific bands. The plan  
21 will suggest a way forward on the full range  
22 of bands within the SCC's inventory which

1 includes AWS 2 and 3, for example.

2 The chairman mentioned the upper  
3 700 megahertz D-block as part of a broader  
4 public safety plan which I'll return to in a  
5 moment.

6 Third, the toolbox. An essential  
7 theme of the chairman's speech last week was  
8 the power of flexibility to unlock the value  
9 of spectrum for broadband. This applies both  
10 to service rules and also potentially to  
11 license transfers.

12 The chairman specifically  
13 described a plan to hold a mobile future  
14 auction. This is a new kind of mechanism that  
15 would enable broadcasters in major markets  
16 where the number of broadcast TV stations is  
17 the highest, and also the need for mobile  
18 broadband spectrum is the greatest, to  
19 voluntarily relinquish spectrum licenses for  
20 a share of auction proceeds.

21 Because of the interference  
22 protections given to TV licensees, bringing up

1 a single six megahertz channel actually frees  
2 up six to 12 megahertz of other spectrum  
3 according to the models we've run.

4 Now, the key word here is  
5 "voluntarily." The idea is to give individual  
6 broadcasters the ability and the flexibility  
7 to decide for themselves whether they want to  
8 put spectrum into an auction.

9 We expect that the mobile future  
10 auction could turn out to be as important to  
11 many spectrum allocations over the next 20  
12 years as the standard FCC auction has been  
13 over the past 20 years. And, again, the theme  
14 here is increasing flexibility in a  
15 responsible way.

16 Fourth, the promise of new  
17 technologies. So, new technologies promise to  
18 take flexible use to a whole new level. We  
19 recognize that the magic of Wi-Fi turned the  
20 junk ISM band into a phenomenal industry. And  
21 similarly like most of the people here today,  
22 we at the FCC are excited about the potential

1 of new technologies like dynamic spectrum,  
2 access to perform alchemical wonders with  
3 otherwise challenging bands.

4 The chairman explained how, and  
5 I'll quote, "New ideas such as databases that  
6 dynamically enable or revoke access to  
7 spectrum in particular times and places  
8 promise to change the way we think about  
9 spectrum."

10 The plan will propose a path to  
11 nurture these approaches building on the great  
12 work that has been done with the spectrum  
13 share test bed, and also the great work that's  
14 been done in private industry and with think  
15 tanks like New America and other places.

16 We are also following the lead of  
17 Commissioner Copps in recommending that the US  
18 allocate sufficient R&D money to advance the  
19 science underpinning this technology going  
20 forward. We think it's important to invest  
21 for the long term, and also for the really  
22 long, by making sure that we have a good

1 pipeline of technology as we reach the limits  
2 of what we have now.

3 And finally public safety. Last  
4 Thursday the chairman announced a  
5 comprehensive plan to ensure that public  
6 safety finally has a state-of-the-art mobile  
7 broadband network. We have a unique  
8 opportunity to develop an interoperable  
9 network. As mobile broadband takes root in  
10 the 700 megahertz band, it can also take root  
11 for public safety.

12 Leveraging ongoing commercial  
13 deployments in the band will reduce the cost  
14 of building and operating the network, and the  
15 plan envisions that through roaming and  
16 priority access on commercial networks, public  
17 safety users can be assured an abundance of  
18 capacity when they need it.

19 The establishment of something  
20 we're calling "ERIC," the Emergency Response  
21 Interoperability Center, will ensure  
22 interoperability through technical standards

1 coordination.

2 And finally the creation of  
3 significant funding vehicles will provide  
4 network enhancements where needed to meet  
5 public safety requirements, as well as ongoing  
6 support for the network over time.

7 So, let's talk about next steps.  
8 We think we have a comprehensive spectrum plan  
9 which itself is part of an even more  
10 comprehensive broadband plan. So, it's fair  
11 to ask what's next.

12 The plan is due to be released to  
13 congress on march 17th. There will be an open  
14 commission meeting on the 16th where we will  
15 present the plan. And it's important to  
16 remember that the plan is not self-executing.  
17 It is a plan.

18 So, while many of the  
19 recommendations will speak to actions the FCC  
20 can take within its authority for these  
21 recommendations, the FCC will commence  
22 proceedings with the usual opportunity for

1 full and fair comment.

2 In most cases, we will strive to  
3 be clear about proposed rules. In some other  
4 cases, we will start with notices of inquiry  
5 to flesh out key parameters before going to  
6 rulemaking. You should expect these  
7 proceedings to unfold over the next 12 to 18  
8 months following the plan.

9 In some other areas, the FCC will  
10 make recommendations to other parts of the  
11 government. In these cases, the FCC will work  
12 with the administration and with congress as  
13 appropriate to move the ball forward.

14 So, it's an exciting time to be in  
15 spectrum policy. We're at the intersection of  
16 two great communication trends over the last  
17 20 years; mobility and broadband. And for  
18 those of us inside the Commission, we think  
19 it's an exciting place to be.

20 The actions that we take  
21 collectively not just inside the FCC, but  
22 throughout the administration with people at

1 this table, will shape the future in profound  
2 ways for better or for worse. And so we're  
3 hopeful that will a solid plan, we can  
4 hopefully make sure that it's for the better.

5 So, that's it. And if people have  
6 questions, I can take a few questions.

7 CO-CHAIR HATFIELD: Any questions  
8 for John?

9 MR. COOPER: Well, I could make a  
10 comment.

11 MR. LEIBOVITZ: Okay.

12 MR. COOPER: I think the objectives  
13 of this spectrum are admirable, and I think we  
14 all agree there is a little bit of an  
15 inconsistency when Cisco talks about 40 times  
16 requirement for the next ten years and the  
17 spectrum plan mentions very briefly the  
18 possibility of new technologies expanding the  
19 capacity of systems, but all of the other  
20 verbiage talks about taking spectrum from one  
21 party and giving it to another party.

22 And that's really not going to

1 accomplish very much, because there is, as the  
2 assistant secretary pointed out, only a  
3 limited amount of beachfront.

4 So, the reality is that existing  
5 technologies have the ability to multiply the  
6 capacity with spectrum by many times. And it  
7 would be really nice if the FCC and the NTIA  
8 had some kind of incentive to promote new  
9 technologies rather than providing a red  
10 herring that in essence says well, we don't  
11 have to worry about new technologies, you can  
12 just have new spectrum. That's the message we  
13 are sending to people who have spectrum  
14 requirements.

15 AT&T is going to solve their  
16 problems, and they're not going to solve them  
17 by waiting ten years. They are going to adopt  
18 technologies that have been around for ten  
19 years and longer, but where we haven't  
20 provided adequate incentives for people.

21 So, I hope that at least this  
22 thought will permeate the activities of the

1 Commission.

2 MR. LEIBOVITZ: Well, there's a lot  
3 to respond to there. I think I would say that  
4 I agree with most not everything you said.  
5 The way you characterized it, I - first of  
6 all, we're not talking about taking away  
7 spectrum. We're talking about more  
8 flexibility, which fundamentally means a  
9 voluntary approach where people can contribute  
10 more spectrum in most instances.

11 Secondly, as I said, we're  
12 planning for the long term. That 40 times  
13 figure was for four years. We have baked into  
14 our analysis the assumption that even for sort  
15 of the more conventional licensed spectrum  
16 mobile technologies there will be greater  
17 efficiencies in technology, there will be more  
18 new style deployments, dense cell deployments  
19 and other things like that.

20 But to get to a 40 times increase  
21 in four years certainly is not feasible with  
22 spectrum alone. And especially given the

1 timeline, it's going to rely heavily on  
2 technology in the early years, and we're  
3 banking on that, as well as some of the  
4 spectrum that's been released over the last  
5 few years, but that's just the runway.

6 As far as new technologies, I  
7 guess I would, you know, you can read the plan  
8 when it's released. I would differ a little  
9 bit with your characterization that we're  
10 putting all of our eggs in the spectrum  
11 basket. That the plan does, as I mentioned,  
12 recommend the use - or the promotion of new  
13 technologies, including some of the more  
14 advanced spectrum access technologies which  
15 are under discussion at the NTIA, to increase  
16 supply of capacity and make more efficient use  
17 of the spectrum, and looks for ways to do that  
18 in a practical, pragmatic way.

19 I think we have to remember that  
20 part of the reason to the extent that this is  
21 coming across as a spectrum plan and not a  
22 technology plan, is the FCC is fundamentally

1 a spectrum-regulating entity more than it is  
2 a technology-regulating entity.

3 So, we are doing things within our  
4 authority or proposing ideas within our  
5 authority. We're also trying to propose ideas  
6 that we think will create pre-conditions in  
7 industry for others, you know, the real  
8 innovators, people like yourself and others,  
9 to develop the next great technologies that  
10 will make the spectrum even more useful.

11 But I think in general, it's a  
12 balanced plan. We're trying to think about  
13 the long term. And so, you know, be  
14 interested to get more feedback when you see  
15 the plan.

16 CO-CHAIR HATFIELD: Gary.

17 MR. EPSTEIN: John, I notice you  
18 used the word network capacity when you talked  
19 about shortage in the beginning.

20 Was that really meant to encompass  
21 both additional spectrum and more efficient  
22 use of the spectrum?

1 Is that kind of -

2 MR. LEIBOVITZ: Yes, yes.

3 MR. EPSTEIN: - how you guys are  
4 thinking on that?

5 MR. LEIBOVITZ: Yes, that's  
6 correct.

7 MR. EPSTEIN: You didn't only use  
8 the term spectrum. You focused on network.  
9 I'm just curious about whether that was  
10 purposeful.

11 MR. LEIBOVITZ: I tried to frame  
12 the problem in terms of network capacity which  
13 is what Marty was explaining, and then talking  
14 about some of the recommendations as they  
15 relate to the FCC in terms of spectrum since  
16 that's, I think, you know, what's of most  
17 interest to people here today as well as at  
18 the FCC.

19 CO-CHAIR HATFIELD: Jennifer.

20 MS. WARREN: John, thanks very much  
21 for coming in and sharing those thoughts and  
22 points. The question I had was on your

1 mention of the R&D investment support.

2 Can you talk a little bit about  
3 that, and then what the incentives will be for  
4 the take-up of that, of the technology that  
5 the FCC has invested R&D in, how that kind of  
6 works?

7 MR. LEIBOVITZ: So, that is one of  
8 those recommendations that's a recommendation  
9 that's to the rest of the government. It's  
10 not necessarily an FCC recommendation.

11 MS. WARREN: Okay.

12 MR. LEIBOVITZ: If you want more  
13 details, I'd refer you to the estimable Al  
14 Stagg Newman.

15 (Laughter.)

16 MS. WARREN: So, just to follow up  
17 real quickly, this isn't an FCC investment.  
18 This is you're making recommendation to -

19 MR. LEIBOVITZ: the R&D point was  
20 about investment in R&D. There are other  
21 aspects of the plan that will speak to  
22 creating regulatory and other pre-conditions

1 for new technologies to take root, which needs  
2 to happen.

3 You can't just put money on it.  
4 You also have to create a sandbox, and grow  
5 the sandbox over time.

6 MS. WARREN: Thank you.

7 CO-CHAIR HATFIELD: Gerry, then  
8 Michael.

9 MR. SALEMME: John, I just wanted  
10 to say that we're really heartened by the fact  
11 that the Commission recognizes that beachfront  
12 isn't just the lowest of the spectrum  
13 frequency beams. I know that from our  
14 perspective, the 2.5 beam has worked very well  
15 for our 4G deployment. We just launched it in  
16 Spain with a 3.6 spectrum.

17 So, you can get, I think, a lot  
18 more spectrum that is usable and being able to  
19 be applied, which helps address the issue.

20 And Marty who started the whole  
21 process here and the father of our whole  
22 industry, I know when 1-800 seemed like the

1 farthest we could go, I remember being  
2 concerned that 1.9 and PCS was never going to  
3 get any propagation that was going to work.  
4 And now to see a 4G deployment in 3.6 really,  
5 I think, opens a whole plethora of new  
6 opportunities that we should take advantage  
7 of.

8 (Off the record comments.)

9 MR. SALEMME: Craig still talks  
10 about how the old AM radio band is still the  
11 most expensive megahertz of all time, because  
12 people are fighting for those few radio  
13 spectrum licenses at the time paying  
14 everything forward.

15 MR. LEIBOVITZ: I think you're  
16 right, Gerry. I mean, the only thing I would  
17 add is that and one of the things we've been  
18 hearing throughout the process, is that  
19 technology is allowing us and companies to  
20 think more than kind of break outside of just  
21 the band-by-band box a little bit too. I  
22 mean, all these devices now are multi-band

1 devices.

2 You can combine the benefits of  
3 different bands in the user equipment in ways  
4 that maximizes the value until you can see,  
5 realize complementarities between different  
6 bands in new ways.

7 MR. SALEMME: And on licenses, you  
8 probably -

9 MR. LEIBOVITZ: And on license,  
10 yes.

11 MR. SALEMME: And the use of Wi-Fi  
12 is something that was unheard of in almost the  
13 antithesis of what a licensed company wanted  
14 to do five years ago.

15 MR. LEIBOVITZ: That's right.

16 CO-CHAIR HATFIELD? Michael, did  
17 you have something? Did you have a question?

18 MR. CALABRESE: Yes, yes. I'm also  
19 heartened that you're, you know, just as Gerry  
20 was saying, you're stretching this beyond  
21 thinking whether it's licensed or unlicensed  
22 just on kind of a siloed or band basis

1       apparently thinking about more ways to do  
2       spectrum sharing and opportunistic access.  
3       So, we'll really look forward to hearing more  
4       about that direction.

5                   And I guess in that spirit, I'd  
6       like you to ask you to think, you know, you  
7       might not have it off the top of your head,  
8       but think about what can this community do for  
9       you? In other words, what are some of the  
10      questions that, you know, because obviously  
11      NTIA is thinking about how to use this  
12      committee, but I think the FCC as well. What  
13      are some of the questions that remain maybe  
14      just beyond your horizon or vexing or things  
15      that we could perhaps wrestle with going  
16      forward to help with the implementation of the  
17      whole direction.

18                   MR. LEIBOVITZ: That is actually a  
19      great question, and I haven't give it enough  
20      thought. I will think about it and get back  
21      to Anna and others.

22                   CO-CHAIR HATFIELD: One final

1 question.

2 MR. RAY: It's more of a comment  
3 than much else.

4 (Off the record comments.)

5 MR. RAY: But, John, thank you for  
6 the outline. I think we all look forward to  
7 the middle of the coming months and hearing  
8 more details.

9 I think from a commercial wireless  
10 operator perspective, time frames are always  
11 a concern here and ten years is a lifetime in  
12 this industry which changes almost every  
13 quarter, let alone every year. Especially in  
14 the commercial wireless space.

15 So, I just remind us all of what's  
16 happening in some other part of the world, and  
17 one specific large European is just going to  
18 auction inside the next couple of months with  
19 one over 350 megahertz a spectrum across  
20 multiple bands, lower bands, high bands. And  
21 other nations around the world are really  
22 seizing this opportunity and moving forward

1 with it very aggressively in much faster time  
2 frames than we are talking about in this point  
3 in time.

4 And so we're looking forward to a  
5 plan that we'll talk about near term, as well  
6 as some of the longer term opportunities and  
7 objectives. And I think it's key that we have  
8 that balance because technology can fix some  
9 of these issues, but there are near-term  
10 problems that need to be addressed too.

11 So, just a reminder for us that we  
12 have a lot of work to do and timing is key.

13 MR. LEIBOVITZ: Thanks.

14 CO-CHAIR TRAMONT: First of all,  
15 thanks for your time this morning and your  
16 thoughtful remarks. And I think I speak for  
17 all of us when I say we're thankful the  
18 Commission's built a resource to offer people  
19 this service and appreciate your willingness  
20 to come and share your thoughts this morning.

21 We should also mention that  
22 originally we had talked about the possibility

1 of Julie Knapp coming to discuss the scope of  
2 commercial and public safety spectrum use.

3 In light of the National Broadband  
4 Plan's timing, we thought, John, it would be  
5 great. So, Julie will still be on our agenda  
6 for a future meeting to address those issues  
7 to sort of do the other half of Karl's  
8 presentation from the last meeting which  
9 discussed federal government use of --

10 So, with that, why don't we go  
11 ahead and try to do Karl before the break.  
12 We'll talk about IRAC, and then we'll break  
13 after Karl's presentation.

14 MR. NEBBIA: And I may need a  
15 little help here just calling the screen up,  
16 possibly.

17 (Off the record comments.)

18 MR. NEBBIA: First of all, I wanted  
19 to thank Bryan and Dale for the opportunity to  
20 make this presentation on the Interdepartment  
21 Radio Advisory Committee. And we also  
22 certainly thank John for coming out today.

1 It's always important to have an opening act  
2 before the -

3 (Laughter.)

4 MR. NEBBIA: But one of the  
5 suggestions I wanted to make for our future  
6 work was this idea of traveling the world for  
7 government and industry meetings with  
8 leadership around the world, and we're all  
9 anxious to see his travel voucher from that  
10 trip to the Cayman Islands where I know he  
11 spoke to a number of leaders down there.

12 Talking about the IRAC today,  
13 first of all I'm going to cover what the IRAC  
14 is, who participates in it, what its parts  
15 are, and how it operates.

16 I note that for many the IRAC is a  
17 great mystery. It's a little bit like the  
18 Politburo that we see a lot of older, white-  
19 haired men with a little cup of vodka on the  
20 table and that's why it gets spilled once in  
21 a while at the table.

22 (Laughter.)

1 MR. NEBBIA: But it's actually not  
2 quite that mysterious, and the chairman of the  
3 IRAC never gets up on the table and does a  
4 little dance to show his virility. But,  
5 anyway, it is not that mysterious an activity.

6 The IRAC is in fact an advisory  
7 body to NTIA. And the important factor there  
8 you need to keep in mind is that what that  
9 means is they provide advice, that NTIA has  
10 the option of taking that advice or not taking  
11 that advice. And in reality, we do not always  
12 go along with what the IRAC suggests to us.

13 It has been in existence since  
14 1922. It's actually the longest existing  
15 federal advisory body in the government. It's  
16 existed continually since that period.

17 It has undergone different  
18 leadership starting with commerce many, many  
19 years ago. There were periods of time, in  
20 fact, where the FCC chaired the IRAC. There  
21 was one incident, for instance, where there  
22 was an FCC chairman by the name of Mr. Fly,

1 who we all know by that name had to have been  
2 an evil individual, and he was actually  
3 accused by the IRA of malfeasance in the  
4 conduct of his duties, and they turned the  
5 IRAC into a small courtroom for a period of  
6 time to analyze whether he was protecting  
7 federal interests or not.

8           Since that time, the FCC has not  
9 chaired the IRAC. So, anyway, it's an  
10 interesting process. There are some records  
11 of that hearing and so on.

12           CO-CHAIR TRAMONT: Karl, is it  
13 statutory or is it - what created the IRAC?

14           MR. NEBBIA: The IRAC - man, that's  
15 a good question. It was started so long ago.  
16 I'd have to check into that and get a readout,  
17 but it's now, you know, it's an advisory body  
18 to NTIA, and it's written its charter as part  
19 of our rules, so on and so on.

20           The work that they do there is  
21 considered executive branch pre-decisional.  
22 So for the most part, the documentation that

1 we have is not releaseable. We will consider  
2 specific cases and where the documentation is  
3 not actually showing pre-decisional activity  
4 and so on.

5 We also, just so everybody knows,  
6 we are open to non-federal presentations.  
7 There is a procedure for that. We established  
8 that, I think, back as the outcome of Janice  
9 Obuchowski's spectrum study. That was one of  
10 the activities that came from that.

11 However, over the years what we  
12 found, most cases that we had such  
13 presentations, companies wanted to come in and  
14 make sales presentations. And for that  
15 reason, we had to instruct them and say this  
16 is a spectrum management body, we're here to  
17 look at policy and procedures for spectrum  
18 management.

19 So, we have kind of discouraged  
20 that mode, but we have had many other good  
21 briefings.

22 It is broken up into subcommittees

1       which have been in existence for a long time,  
2       and they continue their work. The ad hoc  
3       groups are set up on individual topics. And  
4       the nature of the body itself, it is a  
5       collegial group. We do try to reach consensus  
6       within the group. It does not always happen.  
7       And the folks that are in this are really  
8       career spectrum management people.

9                 And that has both good and bad, I  
10       think, aspects to it because it is important  
11       to get new policy ideas. And when oftentimes  
12       we've grown up from within the process, that  
13       sometimes becomes a challenge for us.

14                And I should also say that for  
15       most of the agencies that are represented,  
16       their offices come from their CIO's office  
17       within the agency. So, spectrum management  
18       for most of the agencies is a support function  
19       and can be a support function that in some  
20       cases does not probably get the notice that it  
21       should. But many of the agencies, I think,  
22       are renewing their efforts to raise the

1 visibility of that activity.

2 This is our 1985 Microsoft version  
3 of a picture. I think one of my predecessors  
4 created this, and only the names have changed.  
5 The Treasury representative is still a little  
6 bit offended by the fact that the Coast Guard  
7 representative has been writing on the back of  
8 his head for a period of time.

9 (Laughter.)

10 MR. NEBBIA: They're simulated on  
11 the table, but I think it may have been  
12 throwing back and forth. This one has  
13 probably outlived its time, but you'll see the  
14 NTIA as the chair of the IRAC with the FCC as  
15 the liaison to it to present private sector  
16 and commercial interests.

17 The agencies in fact here have  
18 changed over the years. BBG, anybody guess?

19 MS. WARREN: Broadcasting Board of  
20 Governors.

21 MR. NEBBIA: Broadcasting Board of  
22 Governors. Very good. They've actually

1 stayed there for many years. They just change  
2 their name every couple years. It was USIA  
3 for a while and IBB, I think.

4 But these agencies do change from  
5 time to time. I think HHS actually was  
6 eliminated a few years ago as part of the  
7 Politburo activities.

8 (Laughter.)

9 CO-CHAIR TRAMONT: Any criteria  
10 who's on so, for example, Army, Navy, Coast  
11 Guard as well as Air Force, I mean, how do you  
12 decide when it's sub-department level and how  
13 that works?

14 MR. NEBBIA: There was not an  
15 established gating criteria. In fact, we've  
16 had many debates over the years about the  
17 individual departments within the Department  
18 of Defense getting represented, why they don't  
19 have a single representative and that sort of  
20 thing.

21 I think in general we look to  
22 these as the agencies that have the major

1 spectrum use. Sometimes it's not major in an  
2 overall context, but, for instance, BBG has  
3 the primary government broadcasting activity.

4 Now, an interesting part, for  
5 instance, Coast Guard is actually part of DHS,  
6 but they're the ones who really carry the  
7 knowledge about maritime, so we've kept them  
8 even when DHS was formed and had its own  
9 representation.

10 So, there's not a clear gating  
11 function, but we feel like we've covered most  
12 the agencies. There's currently 19.

13 MR. ROSSTON: So, Karl, there's no  
14 NSA or is that gentleman between the  
15 Agriculture and Interior actually --

16 (Off the record comments.)

17 MR. NEBBIA: NSA is actually not a  
18 representative in the IRAC. They have  
19 representatives on other subcommittees that  
20 they participate in. But generally in the  
21 ongoing policy work, they are not one of the  
22 primary participants.

1                   If, on the other hand, they in  
2 getting the documentation were to send some  
3 input in, we would certainly consider that.

4                   MS. WARREN: Is the Postal Service  
5 an active participant?

6                   MR. NEBBIA: The US Postal Service  
7 is actually a very active participant. They  
8 come in from Nashville, I think, several times  
9 a week, actually, for different IRAC meetings.

10                  CO-CHAIR TRAMONT: That's for their  
11 radio feed, I presume?

12                  MR. NEBBIA: The Postal Service has  
13 a variety of different activities. Certainly  
14 they do have their fleet of vehicles and so  
15 on. They also have investigative  
16 responsibilities. So, they have other law  
17 enforcement activities that they -

18                               (Off the record comments.)

19                  MR. NEBBIA: First of all I wanted  
20 just to note here we do have an ongoing  
21 agreement with the FCC on spectrum management.  
22 I'm not going to talk necessarily about the

1 first two items, but I think the last two  
2 really impact the IRAC here.

3 And that is we make decisions,  
4 spectrum decisions. And that can be the  
5 writing of an NOI, it can be a final outcome  
6 on an R&O, it can be a decision on NTIA's part  
7 to change our rules.

8 We actually have an agreement  
9 between us to allow 15 days to consider the  
10 draft of that change and provide comments back  
11 to one another. So, this is in a non-public  
12 discussion where we provide that feedback on  
13 various documents and outcomes, and I'll talk  
14 about that briefly in a couple minutes.

15 But ultimately given the  
16 differences in our authority and the fact that  
17 the spectrum, for instance, is not broken up  
18 by law, that's by agreement between us. We  
19 don't have veto authority over each other's  
20 decisions, but obviously this working process  
21 has to be collegial. Otherwise, you know,  
22 everything kind of begins to break down.

1                   But once again in that, the IRAC  
2                   activities are very much involved in those  
3                   decisions.

4                   For the main committee right now,  
5                   Ed Davison is the chair of that group.  
6                   Actually, most of the work that goes on within  
7                   there deals with FCC rulemakings, drafts of  
8                   different stages in that rulemaking process,  
9                   sometimes waivers and so on. Deals also with  
10                  allocations. And then to a certain extent,  
11                  changes within our manual for federal  
12                  processes and policies. But most of the  
13                  activity I would say in the last 20 years has  
14                  been focused on Commission rulemakings.

15                  Now, in talking about that, as you  
16                  know, you know the Commission's processes. It  
17                  can run the whole gamut of different stages.  
18                  And if in fact that work runs through all  
19                  those stages, essentially what we have between  
20                  NTIA and the FCC is this process of sending  
21                  drafts, giving us 15 days to respond, us  
22                  providing input back. And that can happen,

1       actually, at every one of these stages so that  
2       it always has to be built in to that decision  
3       process.

4                   I can't say that in every case the  
5       Commission gives us that time. In some cases  
6       they'll say there's some urgency here that  
7       we're going to need to cut the time short.  
8       Other times we'll come back in just a couple  
9       days and say we really don't have any concerns  
10      and they can move it forward.

11                   So, there's no necessarily set  
12      delay in all these different stages. But when  
13      NTIA gets that document, what we immediately  
14      do is electronically farm it to all the IRAC  
15      participants. They are given deadlines for  
16      responses. We hold to those deadlines.

17                   And overall since, I'd say, the  
18      last five years, we are consistently under  
19      that 15-day response time.

20                   Yes, sir.

21                   MR. GURSS: A quick question. In  
22      the case of a FCC item that's going in an open

1 meeting, does your 15 days end before the  
2 sunshine period of the FCC or where in that  
3 process is that 15-day period?

4 MR. NEBBIA: That certainly is the  
5 goal. They like to get our comments before  
6 they get into that period.

7 The place that we probably run  
8 into the most conflict with that is of course  
9 they're trying to move it through their review  
10 process, and we are looking at it kind of at  
11 the same time, and those deadlines will come  
12 up. And that's generally when Julie Knapp or  
13 somebody from OET will contact us to say we've  
14 got to move this one faster than normal. And  
15 we try to accommodate that.

16 CO-CHAIR TRAMONT: I think that  
17 generally they try to get it processed in  
18 before it hits the floor.

19 MR. NEBBIA: That's right.

20 CO-CHAIR TRAMONT: So, the goal is  
21 to get it before the three-week out date if at  
22 all possible.

1 MR. NEBBIA: Right.

2 Okay. This is the actual  
3 organization of the IRAC. And there is a main  
4 body, once again, that has 19 members. That  
5 number of members does not necessarily control  
6 how many member agencies there are in these  
7 other briefs. But let me just run through  
8 them quickly, and then I'm going to focus on  
9 two of them.

10 The Space Systems subcommittee  
11 looks at all the incoming messages and so on,  
12 on coordination of space systems.

13 The Emergency Planning  
14 subcommittee right now is dealing partly with  
15 prioritization of emergency communications  
16 within the government, and to a great extent  
17 within the activities moving toward  
18 establishing activities within the government  
19 agencies, and then supporting things like ESF  
20 2 and that sort of activity.

21 The Spectrum Planning  
22 subcommittee, I will get to that in a little

1 bit more detail in a minute.

2 The Technical subcommittee has  
3 dealt primarily with standards for rules  
4 affected federal government systems. They  
5 also help us if we're going to develop  
6 analytical techniques and we want the IRAC's  
7 input. That would be where that goes on.

8 The Radio Conference subcommittee,  
9 a number of you have been involved in the  
10 outcomes of that as those outputs are shared  
11 through NTIA over to the Commission in  
12 preparation for world radio conferences.

13 We do some preparation in there  
14 for plenipots and the other aspects of the  
15 ITU. A little bit of the radio ITU-R study  
16 work, but that's generally done pretty much  
17 directly within the State Department's ITAC  
18 process.

19 And last is the Frequency  
20 Assignment subcommittee, and I will talk about  
21 that in more detail.

22 These are the current ad hoc

1 groups. 206 pretty much just closed out  
2 providing work implementation concepts back to  
3 NTIA. We have forwarded them over to the  
4 Commission, so that's forward 2007. These  
5 others are ongoing activities that are still  
6 very much underway.

7 For your information, here are the  
8 chairs of those groups and their contact  
9 information. So, please feel free if you  
10 would like to chat with them about how they  
11 operate or you have questions for them or you,  
12 for some reason, know that something you're  
13 interested in is in one of those groups.

14 Now, I wanted to touch on two of  
15 the groups particularly. First, the Spectrum  
16 Planning subcommittee. The main task of this  
17 group is to perform what we call systems  
18 reviews, and to, in the end, provide spectrum  
19 certification for new systems. And all this  
20 comes under the OMB Circular A-11 that  
21 requires this certification before the  
22 agencies spend money on major systems.

1                   Now, one of the things I think  
2                   that's critical here is that there is not a  
3                   definition of major systems. It's somewhat in  
4                   the eyes of the beholder. Most of the  
5                   agencies, I think, all kind of know them when  
6                   they see them, and we do get those. Once in  
7                   a while we'll find one we're hearing about  
8                   somewhere that we have to ask people and make  
9                   sure it gets submitted.

10                   The other aspect of it is based on  
11                   OMB Circular A-11, there's actually no hook in  
12                   the budget mechanism that puts an agency in a  
13                   position where they basically have to say  
14                   here's my spectrum certification, before OMB  
15                   gives them the money.

16                   So, that's one of the challenges  
17                   of our process. NTIA does not control that  
18                   money. And at this point, there has never  
19                   been that hook in the process.

20                   But mostly in our efforts in  
21                   performing an analysis of them, we're looking  
22                   to make sure they're in the correct bands,

1 that they're using the standards that we have  
2 accepted. We're looking for compatibility  
3 issues. And ultimately NTIA signs the  
4 spectrum certification that comes out of these  
5 groups.

6           Between the process of  
7 straightening out the data that we get in,  
8 analyzing it, drafting a response and then  
9 working it through the committee, they're  
10 generally two to four months. Some of them  
11 where there's a real conflict agencies, can  
12 take longer than that to resolve, but it's  
13 generally because there is a conflict between  
14 the agencies about what's being done.

15           And you may consider it similar to  
16 the Commission's authorization process. The  
17 Commission is very active in this, once again,  
18 in their liaison capacity.

19           The last thing I want to talk  
20 about is the Frequency Assignment subcommittee  
21 which deals with the actual what you would  
22 think of as licensing process from the

1 government side, and this is the assigning of  
2 specific frequencies. It operates on an  
3 electronic basis where requests are submitted,  
4 they're processed through a daily agenda that  
5 goes out to the agencies, and then they're  
6 giving a nine-working-day period to respond to  
7 those inputs.

8 That nine working days applies to  
9 whether it's a non-federal license that has  
10 been shared by the Commission because it's in  
11 a shared band of some sort or it's in a band  
12 that's allocated to federal agencies or it's  
13 a government assignment, it doesn't matter,  
14 the nine days applies.

15 Down here I have listed if you  
16 have a non-federal system that you're working  
17 through a license, you know it has to be sent  
18 to the Commission because it's in a shared  
19 band. The first website here actually would  
20 report the status of your submission so you  
21 will know where it is in that nine-day period  
22 and any result that comes out of that.

1                   Now, you have to understand at the  
2                   end of that nine-day period, that's when the  
3                   agencies have given their responses. It's not  
4                   necessarily the end of the process, but they  
5                   will have in the cases of a non-federal  
6                   assignment, they will at that point have  
7                   responded to the FCC and said there's a  
8                   problem here or you're free to move ahead,  
9                   that sort of thing.

10                   At that point, it's the  
11                   Commission's responsibility then to take it  
12                   back to the perspective licensee. At that  
13                   point, NTIA waits for responses from the  
14                   Commission.

15                   In all of this, as I said, these  
16                   are circulated electronically. The agencies  
17                   basically vote on the requirement basically  
18                   saying we're okay with it or we're not okay  
19                   with it. A no vote means that they're okay  
20                   with it and it's going to move through the  
21                   process.

22                   This is a pretty demanding effort

1 for both NTIA - as you see, we have about 350  
2 to 400 come through per day. Now, many of  
3 these are renewals of existing ones, do not  
4 require a lot of work. But other ones that  
5 are new require one of our staff members to go  
6 over in detail to make sure that the data  
7 looks correct and that it's going to go into  
8 our database well.

9 This last one here was created  
10 fairly recently, this last website, because we  
11 had a number of applications coming in, in, I  
12 think, the 960 to 1215 band for non-federal  
13 aviation-oriented systems and we wanted those  
14 folks to know where they were in that process.

15 Now, the Commission actually  
16 participates in the FAS as a member, because  
17 they are a federal agency. They have some  
18 assignments that we have to grant. That's  
19 where we tell them, sorry, no can do, you  
20 know.

21 But in reality, their main  
22 responsibilities in the FAS are still as a

1 liaison on behalf of the private sector.

2 CO-CHAIR TRAMONT: Karl, what's  
3 that 8500 number?

4 MR. NEBBIA: That 8500 number  
5 represents the number of non-federal licenses  
6 that are coordinated with us during the year.

7 CO-CHAIR TRAMONT: A Year.

8 MR. NEBBIA: Yes, yes. So, that  
9 brings me - yes, sir.

10 MR. DONOVAN: Just one question  
11 either in terms of the Spectrum Planning  
12 subcommittee or the Frequency Assignment  
13 subcommittee.

14 Is there in either subcommittee,  
15 sort of a systematic approach as to usage  
16 rates amongst the federal entities that are  
17 either requesting an allocation or requesting  
18 a frequency?

19 MR. NEBBIA: Well, first of all, in  
20 either of those bodies - well, first of all in  
21 the Spectrum Planning subcommittee they're  
22 actually requesting spectrum certification.

1 MR. DONOVAN: Correct.

2 MR. NEBBIA: Never requesting  
3 allocation. That's done on a policy level.  
4 Okay. And then on the assignments, they - and  
5 I'm losing my train of thought on your  
6 question. Sorry.

7 MR. DONOVAN: Bottom line is if I'm  
8 the Coast Guard and I say look at, okay, let's  
9 get some equipment certification or you do a  
10 frequency assignment -

11 MR. NEBBIA: Right.

12 MR. DONOVAN: - is there any sort  
13 of systematic follow-up not only in use for  
14 the Coast Guard, but amongst all federal  
15 agencies whether or not they're in fact using  
16 that and the usage rates --

17 MR. NEBBIA: Sure.

18 MR. DONOVAN: - of the federal  
19 government on those frequencies? Does IRAC  
20 touch that at all?

21 MR. NEBBIA: Yes. There is not a -  
22 we have a five-year review for the frequency

1 assignments that they have to come back and  
2 say we still want this.

3 MR. DONOVAN: Right.

4 MR. NEBBIA: On the Spectrum  
5 Planning subcommittee if they then come back  
6 and don't implement that system, it doesn't  
7 really alter - it's not like we've set  
8 something aside through that process. We've  
9 merely given them the go-ahead to develop in  
10 that band. So, that process doesn't commit  
11 spectrum, which we then need to know are you  
12 not using it because we want to get it back.

13 And in fact the history of the  
14 federal government has been to consistently  
15 try to build systems within the existing  
16 spectrum that they have sharing with existing  
17 users that are in that environment as opposed  
18 to asking for an additional amount.

19 Now, when it comes to the  
20 assignments themselves, we have some  
21 measurement data that you could say at least  
22 validates use rates in certain bands, but once

1       again I think the issue of how well  
2       measurements perform that is kind of unclear.

3               But otherwise, I mean, these  
4       systems operate across wide parts of the  
5       spectrum, certainly, but they're very varied  
6       in the types of applications. Some of them  
7       are passive.

8               So, that would be a very  
9       challenging activity for us to actually be  
10      able to monitor the usage rates. And I think  
11      to a great extent though, we have a good sense  
12      of what those usage rates are.

13              For instance, if the FAA is  
14      putting in an air traffic control radar  
15      outside of the Atlanta airport, that system is  
16      going to be the basis for brining in aircraft.  
17      It's going to be on all the time at that  
18      location.

19              If you're talking about military  
20      training systems, you know it's going to be a  
21      sporadic activity, and that may offer some  
22      options, and so on.

1                   So, I think we think of it more in  
2                   those general terms more so than knowing the  
3                   specific use level.

4                   MR. DONOVAN: So, essentially it's  
5                   based on the requests of the individual entity  
6                   wanting to develop a new system. It's not how  
7                   often that system gets used or ultimately  
8                   phased out or -

9                   MR. NEBBIA: That's -

10                  MR. DONOVAN: How do you double-  
11                  check on that?

12                  MR. NEBBIA: Well, they certainly  
13                  through the five-year review process if they  
14                  actually have an assignment - and once again  
15                  it's only the assignment that establishes some  
16                  hindrance for somebody else to operate. So,  
17                  that's where we focus on that.

18                  But once again in our process, it  
19                  is in many ways a self-certified process. We  
20                  count on them to provide us truthful  
21                  information about their operation. So, that's  
22                  more or less what we've got to do.

1 CO-CHAIR HATFIELD: Karl, one thing  
2 that's not clear is how much is decentralized  
3 versus centralized here, at least centralized  
4 electronically, in terms of individual  
5 agencies?

6 How much have you delegated them  
7 the right to make decisions on a more dynamic  
8 basis within a test range or something like  
9 that?

10 MR. NEBBIA: Sure.

11 CO-CHAIR HATFIELD: I mean, what  
12 has to come back here and what do you allow  
13 them to do when centralizing?

14 MR. NEBBIA: Well, first of all I  
15 should mention that there is a small number of  
16 bands that are mentioned under what we call  
17 the Aviation Assignment Group, the AAG, or the  
18 Military Assignment Group. Very small number  
19 of bands where in fact in that case, the FAA  
20 or somebody from DoD actually chairs that  
21 subactivity and resolve issues in that band  
22 specifically.

1                   And those bands are listed in the  
2                   NTIA manual. There's a small series of them.  
3                   Not too many of them up in the ranges that  
4                   we've talked about most recently.

5                   Now, other assignments, sometimes  
6                   an agency will get an assignment for a number  
7                   of channels within an area, a statewide  
8                   assignment or something along that line. And  
9                   certainly at a test range, they're going to  
10                  get a number of channels at that test range  
11                  that they are permitted to operate at any time  
12                  they want to operate.

13                  So, at that point we've given them  
14                  the assignments in that range for that  
15                  location. And at that point, it becomes their  
16                  daily scheduling and activity and so on. If  
17                  they need more channels in their area, they'll  
18                  come back to us and so on.

19                  So, they have, once again,  
20                  somebody - it's like if you have - you give a  
21                  license to a cell operator. You don't come  
22                  back and say well, can we turn this person on

1 or that person on, you know, they get the  
2 option to work within it.

3 Now, we really do not do much in  
4 terms of what most would think of in terms of  
5 cell sort of licensing where they get a  
6 significant amount of contiguous spectrum and  
7 a designated area to operate in.

8 When somebody comes in with a new  
9 frequency assignment, the others that already  
10 have assignments are doing a technical  
11 analysis to see how close those things are  
12 fitting together.

13 If what the new person or new  
14 group proposes doesn't bother them, they give  
15 the thumbs up. If they think there's going to  
16 be an interference impact, they give the  
17 thumbs down.

18 So, we don't generally manage  
19 based on blocks of spectrum, large areas. We  
20 base on fitting the systems technically as  
21 close as we can get them together.

22 We got a lot of hands up, so -

1 CO-CHAIR HATFIELD: I'm a little  
2 concerned about timing, but we probably need  
3 to go ahead. Let's do five minutes more  
4 quickly. I haven't been paying attention who  
5 raised their hand first.

6 MR. CALABRESE: I think I'm just  
7 going to follow up on what you did. Quickly,  
8 just I'm wondering how geographically specific  
9 are the assignments. And if it's a bigger  
10 area does that mean there are clients that  
11 want these 21 small things that add up to a  
12 larger area, or does it vary?

13 And then also begin to say a  
14 little bit more quickly about the five-year  
15 review process in terms of whether you're  
16 getting information on what's actually in use.

17 MR. NEBBIA: Well, the approach on  
18 the assignment with respect to areas covered  
19 is based primarily on the kind of assignment  
20 it is. So, if it's a fixed location  
21 assignment, whether that's a radar, a non-  
22 moving radar or a fixed point-to-point link,

1 that's they're given the authority based on  
2 the specific characteristics they give us and  
3 that specific location.

4 Others, on the other hand, they  
5 have mobile requirements. For instance, the  
6 FBI needs for agents to be able to take their  
7 radio at times, hop on an airplane as part of  
8 the following of whoever they're following,  
9 get off an airplane in another town and be  
10 able to talk again.

11 So, the setting of channels and so  
12 on for them has to involve a lot more  
13 mobility. So, they're given a set of channels  
14 that they operate on and, in some cases, a  
15 nationwide assignment to do that. So, just  
16 depends on the type of service that we're  
17 dealing with.

18 And certainly in the five-year  
19 review, we do initiate that with each  
20 assignment. We do expect a response. And if  
21 we don't get a response, we send out a letter  
22 to the agencies notifying them that that

1 assignment is being pulled out of the database  
2 and their authorization is being taken away.

3 Each of these agencies does pay  
4 fees to support NTIA's Spectrum Management  
5 Office. So, 80 percent of our budget every  
6 year in my office actually comes in through  
7 agency fees. That amounts to somewhere around  
8 \$120 per assignment since it's essentially  
9 broken down per assignment in our database.  
10 And that's renewed every October.

11 CO-CHAIR HATFIELD: Gerry.

12 MR. SALEMME: Yes, so the spectrum  
13 managers within the agencies, they sort of  
14 report back to you via the GMF. So, you're  
15 keeping track what the GMF -

16 MR. NEBBIA: Yes, we maintain the  
17 GMF. They submit their requests, we put them  
18 into this daily agenda thing that distributes  
19 them to everybody. They then respond  
20 electronically whether up or down on it, any  
21 particular concerns or comments, but then we  
22 in the end maintain the database.

1                   And that database is available to  
2 all of those participants. It has been made  
3 available to other members of the government  
4 who need to understand what's going on.  
5 Certainly if my boss were to ask for it, he  
6 would get any access he needs to understanding  
7 there's nothing held from him.

8                   CO-CHAIR HATFIELD: Gary.

9                   MR. EPSTEIN: First, Karl, thanks.  
10 That was terrific. You've removed some of the  
11 mystery of it. And feel free, and this is an  
12 unfair question, you as probably pre-eminent  
13 spectrum guy in the government, is this system  
14 fundamentally broken?

15                   We're all nibbling around the  
16 edges of this. We're asking is it used  
17 correctly? How do you know whether it's used?  
18 Is this broken or should we have a top-to-  
19 bottom review of it? Or in your view as the  
20 expert in the government, is it pretty much  
21 okay or is it impossible to change or all of  
22 the above?

1                   MR. NEBBIA: I think the biggest  
2 challenge for us is we need and we're in the  
3 midst of taking some major steps forward on  
4 our data capabilities. We're working on a  
5 major upgrade to our system, and I think  
6 that's an important component of it.

7                   We have noted a number of times  
8 that we believe that it's critical in the  
9 spectrum management business, to have a level  
10 of policymaking input from the agencies. And  
11 within the last few years, we created a group  
12 called the Policy and Plans Steering Group  
13 that when we need executive level input, that  
14 we're able to convene that group and to work  
15 within that group.

16                   So that has, I think, met some of  
17 the requirement for that kind of invariable or  
18 inevitable movement toward once again folks  
19 whose main job it is to protect what they  
20 have, and this brings in some other thinking.

21                   To be honest with you, I am amazed  
22 at what the federal government does in the

1 spectrum that it has. There is a little bit  
2 more at times some black magic involved.  
3 Because, for instance, when we began to move  
4 out of the 1710 to 7055 band, we had  
5 nationwide mobile operations in there. We had  
6 airborne telemetry systems. We had satellite  
7 - or satellite activities is the next band up,  
8 but we had fixed microwave links. Some of  
9 them transportable for the military.

10 And all these things are just kind  
11 of operating together. The agencies are  
12 talking together, communicating when there are  
13 issues and resolving them.

14 So, we do a lot of things within  
15 bands that the private sector would never do.  
16 They would never put those types of systems  
17 together.

18 Certainly as we look toward better  
19 sharing in the future, we're going to have to  
20 deal with some of the possibilities of  
21 bringing either federal operations into some  
22 of the non-federal bands and sharing in a way

1 they're not used to, or vice-versa.

2 So, I would not characterize it  
3 that way, but -

4 CO-CHAIR HATFIELD: I think I'm  
5 getting worried about the time here. So,  
6 unfortunately, I think we probably ought to  
7 cut this off. I'll be the bad guy.

8 MR. DONOVAN: Bob has -

9 MR. GURSS: I want to ask one more  
10 question. I beg your indulgence.

11 MR. NEBBIA: And then Jennifer, but  
12 she'll give you a pat on the back.

13 MR. GURSS: Is there any mechanism  
14 in what you've described where an applicant  
15 has to demonstrate that the channels they  
16 already have assigned or an access to are  
17 insufficient to meet the requirements that  
18 they are seeking?

19 MR. NEBBIA: Well, I think  
20 certainly if there are - you're talking about  
21 the same applicant coming back and saying I  
22 have five channels now, I really need ten.

1                   That primarily applies within our  
2                   land mobile bands, which once again everybody  
3                   has to keep in mind are a fairly small piece  
4                   of spectrum.

5                   But in those cases, we're dealing  
6                   mostly with trunk mobile radios at this point,  
7                   and we do ask them how many users per channel  
8                   they have and that sort of thing.

9                   Ultimately we still have to get  
10                  back to relying on them for their input and  
11                  the statement of their need.

12                  MR. GURSS: Thank you.

13                  MS. WARREN: Bryan said I could say  
14                  one thing.

15                  As a company that falls in some of  
16                  the 8500 FCC applications that get sent over  
17                  to NTIA, the FABs, I can't comment as much on  
18                  the others, but the turnaround time that they  
19                  s how and the questions and the flexibility is  
20                  really pretty good. I mean, it's an  
21                  impressive - This group is pretty impressive.

22                  So, it's not a compliment to you.

1 It's a compliment to Tom Woods.

2 MR. NEBBIA: Okay. Tom Woods.

3 Good. Good. No question there.

4 CO-CHAIR HATFIELD: Karl, thank you  
5 so much. This has been extremely helpful.

6 Why don't we do a five-minute break now and  
7 then come back and get the subcommittee  
8 reports then.

9 (Whereupon, the meeting went off  
10 the record at 10:30 a.m. for a brief recess,  
11 and resumed at 10:39 a.m.)

12 CO-CHAIR TRAMONT: If everybody  
13 could take their seats, we'll go ahead and get  
14 underway.

15 Okay. So, just a quick note on  
16 sort of processing how we're proceeding for  
17 the rest of the morning, the four  
18 subcommittees will make their presentations.  
19 Two of the subcommittees have full drafts.  
20 They're available on the table out front.

21 We've asked the committee chairs  
22 to review the contents of those drafts. Our

1 hopeful plan is that after a discussion of the  
2 drafts here, we will then adopt at the next  
3 open meeting, final reports from those two  
4 committees. So, there will be a chance for  
5 that full committee to have input into the  
6 drafts that you've received, as well as any  
7 members of the public that want to comment on  
8 those individual drafts.

9 For the two subcommittees that  
10 don't have drafts yet, we're going to hope to  
11 try and move to draft quickly in each case,  
12 put those on the website and give them the  
13 full committee for comment and drive at least  
14 ideally both, potentially one, to a full vote  
15 at the next meeting as well.

16 So, that's the process for the  
17 four existing committees. And you'll also  
18 note that there's a placeholder on the  
19 schedule for the path forward, and our goal is  
20 to create two new subcommittees that will  
21 begin their work immediately on additional  
22 topics culling from the last list of topics

1 that was presented at the initial meeting, as  
2 well as some of the things that were raised  
3 this morning by Anna, and any other topics  
4 that people are interested in.

5 So, that's the sort of macro  
6 overview on what we're trying to accomplish  
7 for the rest of our time today. And with  
8 that, why don't we go ahead and move to Mark  
9 and Jennifer who will present their report on  
10 the Spectrum Inventory.

11 MR. CROSBY: Thank you. First  
12 things first. You know these things are  
13 collaborative efforts, and the Spectrum  
14 Inventory Working Group has been blessed with  
15 some very active and very smart people;  
16 Jennifer Warren, Bob Gurss, Gary Epstein, Mark  
17 McHenry, Darrin Mylet, Marty Cooper, Michael  
18 Calabrese, and at that propitious moment, Karl  
19 Nebbia, because I got a three-page e-mail from  
20 him and I'm thinking what I'm supposed to do  
21 with this?

22 (Laughter.)

1 MR. CROSBY: I did not hit the  
2 delete key. I saved it as, okay, this is KN's  
3 input, so this was great. And Byron Barker  
4 and Karl participated in several of our calls.

5 I don't want to go through this  
6 document. You can see that we've had some  
7 very healthy discussions, a lot of  
8 participation, because this is Version 8.

9 CO-CHAIR TRAMONT: I noticed that.

10 MR. CROSBY: And I wasn't bold  
11 enough to say it was final, but Version 8  
12 because I fully expect to have very helpful  
13 input from the full committee and the public.  
14 And so, I thought to just label it Version 8.

15 We obviously do very brief  
16 executive summary support at this initiative,  
17 of course. We have obviously as evidenced in  
18 the text of the document, do not believe that  
19 spectrum reallocation is the only solution, so  
20 we're very, very strongly proponents of  
21 advancing technologies, all kinds of  
22 technologies to get to the objective of

1 accommodating the wireless needs of this  
2 country.

3 We don't think 500 is enough  
4 necessarily. We think it's going to be a lot  
5 more than so, so technology improvement is an  
6 absolute must.

7 We talk about funding. We have  
8 some conclusions in here. I think one of the  
9 other things - we had some, again, healthy  
10 discussions on the level in the capacity and  
11 the benefits of spectrum benefits, that is the  
12 discussions are in Attachment B. And at some  
13 point I think it was Karl and I said well, are  
14 you going to help us with the actual fields  
15 that are going to be in the Spectrum  
16 Inventory?

17 And so we actually took a couple  
18 shots at some of the - we were very careful  
19 with this. This is a recommendation. It's an  
20 illustrative list of potential elements that  
21 would be fields in the Spectrum Inventory, and  
22 that is contained in Attachment A.

1                   This has been a lot of fun work.  
2           I don't know whether we're quite done, but  
3           Version 8 should be - we should be running on  
4           empty at this point. And at this point, I'll  
5           ask for the comments and other things from the  
6           great members of this working group.

7                   Jennifer and Marty and -  
8                   CO-CHAIR TRAMONT: Comments or  
9           questions from the floor?

10                  David?

11                  MR. DONOVAN: Just one quick  
12           question in terms of inventory, and I - this  
13           is terrific work, but I haven't read it  
14           thoroughly, but what is your approach to  
15           suggestions about inventory in non-licensed  
16           uses such as unlicensed operations?

17                  I mean, certainly they're going to  
18           be out there, somebody is going to be using  
19           it. How do you measure those usage?

20                  MR. CROSBY: Anybody on the - well,  
21           we had that discussion, David.

22                  MR. DONOVAN: Right.

1 MR. CROSBY: And you can't do - you  
2 have to do monitoring at some point, I think,  
3 but Jennifer and those - it is an issue,  
4 obviously, because all you have is certified  
5 pieces of equipment.

6 MR. DONOVAN: Right.

7 MR. CROSBY: That's all you have.

8 MR. COOPER: To put it bluntly,  
9 David, we did not address the issue of  
10 measuring unlicensed -

11 MR. DONOVAN: Okay. Could one  
12 measure it in terms of sort of number of  
13 devices sold or some type of marketing  
14 analysis measuring usage in terms of whether  
15 the market is providing those devices?

16 In other words, if I have an  
17 unlicensed band and suddenly for whatever  
18 reason devices aren't being sold, then can one  
19 assume that that spectrum is not being used,  
20 or can you make some type of marketing  
21 analysis?

22 MR. COOPER: The only measurement

1       that I know of is it's a pure marketing  
2       measure.

3                   MR. DONOVAN: Right.

4                   MR. COOPER: What kind of  
5       experience do users get when they try to use  
6       the unlicensed -- and I would suggest at this  
7       moment that a very positive experience is very  
8       seldom at least with wi-fi -- that people run  
9       into in interference issues.

10                  CO-CHAIR TRAMONT: Marty, can we  
11       ask of you to pull the mic closer? I  
12       apologize, but just for purposes of the  
13       record.

14                  MR. DONOVAN: I guess my question  
15       is certainly it's not a perfect condition. I  
16       mean I could go buy a device that's, you  
17       know, whether it's a garage door opener or  
18       another type of wi-spy. Whether I use it or  
19       not I agree, you know, you can't - it's tough  
20       getting at that. But at least in terms of  
21       usage if you look at marketing data, you could  
22       get a sense as to whether or not the spectrum

1 - at least there's one - and I would argue how  
2 important it is as to whether or not that  
3 spectrum is being used for the purposes for  
4 which that spectrum was either set aside or  
5 shared or what have you.

6 CO-CHAIR TRAMONT: And you could  
7 get a sense of the types of use, right?

8 MR. DONOVAN: And that shows the  
9 types of use, right.

10 MS. WARREN: Can I point out that  
11 at least under the technical use information  
12 in Attachment A, there is at least number and  
13 type of authorized devices listed there.

14 MR. DONOVAN: Okay.

15 MS. WARREN: So, that was a  
16 recommendation. That's not limited to  
17 unlicensed or license.

18 MR. DONOVAN: Okay. Well, that's a  
19 fair point.

20 CO-CHAIR HATFIELD: Isn't this an  
21 area, classic area where you may want to do  
22 some spot checking with actual measurements?

1 I mean, you've talked about that as a  
2 possibility selected use, and I think that  
3 would probably - that's where you would almost  
4 need it most because you have the least  
5 information that's available in a database.

6 MR. EPSTEIN: In Appendix B where  
7 we talk about spot use of measurement, we  
8 explicitly call out exactly, Dale, what you  
9 just said. If you look at the first bullet in  
10 Appendix B, it talks about unlicensed.

11 MS. WARREN: That's right.

12 MR. EPSTEIN: And it was meant  
13 just for that, you know. We didn't know how  
14 to do it.

15 I like Dave's idea. I mean, we  
16 could drop a footnote or if it was the  
17 consensus of the working of the group that we  
18 could say look, we may need some sort of  
19 surrogate for unlicensed. We don't know  
20 really how accurate it would be, but, I mean,  
21 it's a good suggestion. We could put it in  
22 the report.

1                   But the question about monitoring,  
2                   which probably engendered the most discussion  
3                   of all in all of our eight deliberations,  
4                   wound up in Appendix B. And the unlicensed  
5                   issue at least was called out there for spot  
6                   measuring purposes.

7                   MS. COOPER: I wonder if we could  
8                   just mention that there exists now in the  
9                   marketplace, a means for measuring on a  
10                  continuing basis how people are using the  
11                  spectrum.

12                  And I'll give you this example: In  
13                  the cellular telephony area, there are people  
14                  who monitor the places and times when the  
15                  systems went out of capacity. There are  
16                  public service organizations that will tell  
17                  you what part of New York City you will have  
18                  trouble talking on at what time of day, and I  
19                  don't know of any other system that is better  
20                  than that.

21                  Going on doing spot checking is  
22                  not going to tell you those kind of things, so

1       there are mechanisms for doing that. And the  
2       thing that is important with Wi-Fi, is that's  
3       a number of devices, but it is in fact what  
4       the experience is.

5                   Is somebody actually trying to use  
6       a Wi-Fi at some point and failing?

7                   CO-CHAIR HATFIELD: Or what is the  
8       overall level of interference? I mean, Wi-Fi  
9       is so intensely used that the interference  
10      begins to look sort of noise-like, I think.  
11      And what you're looking at is then what sort  
12      of interference levels are you getting in the  
13      aggregate in a particular band, and it seems  
14      to me that's fairly important information to  
15      get.

16                  MR. COOPER: Absolutely. But what  
17      I'm suggesting is that polling users might be  
18      a better way of determining that, Dale, than  
19      trying to do ten - just ask me how I did -

20                  CO-CHAIR HATFIELD: This is  
21      probably not a good place to have a detailed  
22      technical debate, but the user experience

1 depends on a lot of things. When things slow  
2 down, I don't know whether it's because it's  
3 a server that's delivering the content to me.  
4 It's the network of the - my ISPs network or  
5 it's because I have a PC that's, like I do,  
6 that's so old it's having trouble keeping up  
7 with what I'm getting.

8 And that's the reason I think you  
9 have to be very careful relying just on user  
10 experience. And I think from the scientific  
11 standpoint you'd like to isolate those. And  
12 one of the things you want to isolate is how  
13 much of this is due to spectrum congestion  
14 problems versus congestion in the backbone  
15 network or someplace else.

16 CO-CHAIR TRAMONT: It seems to me  
17 that David's point raises two different public  
18 policy concerns.

19 One is, is it being so heavily  
20 used and congested that it warrants additional  
21 spectrum, what have you.

22 The other is, is it being so

1 underused that it should be re-purposed? And  
2 the user experience will not capture the  
3 underused. And so spot checks and sales are  
4 a way to get the underuse problem to the  
5 extent they exist at all.

6 DR. KAHN: I think, though, there  
7 may be another opportunity underlying this if  
8 we could figure out how to harness it, which  
9 is sort of kind of a riff off what Marty was  
10 saying. Two things. One, it may not need to  
11 be a government thing, that there are other  
12 resources out there that are doing these kinds  
13 of activities for other reasons.

14 The other is that one could  
15 actually think about trying to get, for  
16 example, on Wi-Fi, one could say hey, you  
17 know, we're going to make available a general  
18 standard, which is essentially a management  
19 report on spectrum interference as seen by an  
20 access point. And a user is allowed to turn  
21 that on in his access point, and it will  
22 report to an anonymous server someplace that

1 information.

2           There already are enormous  
3 databases out there of the location of Wi-Fi  
4 access points. If you want to know that, just  
5 ask your iPhone where you are and if you're  
6 not in a 3G coverage, it will be amazingly  
7 accurate if you've got Wi-Fi turned on.

8           There's a lot of this information  
9 that's sitting out there. It might be  
10 possible with a small amount of voluntary  
11 suggestion to industry and people, to actually  
12 get these systems to report more information.  
13 And then there's privacy respecting all those  
14 sort of issues you have to think about to do  
15 that.

16           But from strictly a kind of  
17 understanding spectrum perspective, the nice  
18 thing is all these radios now are smart. They  
19 all have processors sitting in them. And to  
20 the extent in which you can get some of these  
21 radios to voluntarily report what they are  
22 seeing, you have a much, much cheaper and

1 better monitoring capability than you'd ever  
2 have by going out and just sort of doing  
3 random spectrum analyzer measurements.

4 So, it's something to think about  
5 whether something of that sort ought to be at  
6 least looked at.

7 CO-CHAIR TRAMONT: Harold, and then  
8 Karl.

9 MR. FURCHTGOTT-ROTH: In this  
10 report, you all have done a lot of wonderful  
11 work.

12 CO-CHAIR TRAMONT: Can I ask for  
13 the microphone again. I'm sorry, Gary. Can  
14 you pass it down? Sorry. Thank you.

15 MR. FURCHTGOTT-ROTH: You've gone  
16 to a great deal of work putting this together,  
17 and I just want to compliment you on a certain  
18 tonal issue that I'm very sensitive to. And  
19 those are issues that might particularly  
20 affect entities that have invested large sums  
21 of money in licenses.

22 And there are two issues pretty

1 big with Spectrum Inventory I think that need  
2 to have some care taken. One is not to create  
3 a perception that the government is going to  
4 go around and look at usage in licensed  
5 spectrum with the possibility of reclaiming  
6 licenses. I think that might discourage  
7 future investment in licenses.

8 And the second part is that the  
9 flip side of that is that in many licensed  
10 bands there's a lot of unlicensed use, shared  
11 use, and it's very difficult to distinguish  
12 what activity is going on in terms of  
13 transmissions in a particular band, where it's  
14 coming from.

15 And so even, as Gary points out,  
16 you can collect a lot of information, but Wi-  
17 Fi is a precise example of where a lot of the  
18 activity may not be for licensed purposes.

19 It would be very discouraging to  
20 the role of providing clear market signals for  
21 licensed spectrum if there was any concept  
22 that usage or that some level of usage too

1 much or too little might lead to some  
2 government action to reclaim licenses.

3 And I think the tone right now is  
4 right. I just want to make sure it stays at  
5 that.

6 MR. COOPER: I wonder if I could  
7 just make a comment. That was a very relevant  
8 remark.

9 What our committee faces is short  
10 term and a long-term problem. On the short  
11 term, we don't see the measurement of spectrum  
12 really do us much good at all, because we  
13 already know that most of the spectrum is  
14 unused, and isolated pieces of the spectrum at  
15 isolated part of time are overused and there's  
16 nothing you can do about that.

17 Long term, and my view of long  
18 term is 10 or 15 years. Mark McHenry thinks  
19 it's next week. Long term when we can do  
20 dynamic spectrum access and when there is  
21 government policy that permits it, then the  
22 measurements may have or will have some

1 important value.

2 And we're trying to somehow  
3 separate those two issues in this report, and  
4 it's very difficult.

5 CO-CHAIR TRAMONT: Okay. Karl's  
6 next, and then we'll go to Michael.

7 MR. NEBBIA: I just wanted to step  
8 back to the unlicensed issue. And I think  
9 once again putting it in the context of this  
10 inventory, I think we have to remember the  
11 inventory, I think, most possibly becomes a  
12 beginning point for further discussions. It's  
13 not the in-depth understanding of how  
14 everything is done, how much people are on.

15 In this particular case for  
16 instance with unlicensed devices, a beginning  
17 point might be to have the information that is  
18 within, I think, the Commission's  
19 certification process pulled up where there at  
20 least is a list of car key fobs are on this  
21 frequency, garage doors are on this frequency.

22 So, at least people know where

1 they are, because in at least regulatory terms  
2 they don't really have bands that are just set  
3 aside for them. They're often working with  
4 licensed services around and so on.

5 But, for instance, when DoD began  
6 developing its trunk mobile radio system to  
7 install around the country in 3A to 400, they  
8 would have at least, I think, given it some  
9 thought if it was clear that the whole garage  
10 door industry had settled down there over the  
11 last 30 years. And, in fact, possibly made  
12 some fairly simple decisions in its process of  
13 where it put a control channel and so on, so  
14 that it wasn't hammering those door openers.

15 Now, those door openers don't have  
16 any status, but just knowing that they're  
17 there could have enabled maybe some simple  
18 decision-making processes that would have  
19 resulted in not as much conflict as we've had.

20 So, I think at least as a starting  
21 point just being able to get a clear list of  
22 where these products are being operated would

1 be really terrific.

2 MR. CROSBY: It's in Appendix A,  
3 description of communication devices done by  
4 band.

5 MR. NEBBIA: Or once again  
6 specifically on the unlicensed side, it would  
7 just be nice. Now, I mean we all know that  
8 Wi-Fi operates at 2.4. There's some now at  
9 five gigahertz. We also know that's data  
10 systems at 902 to 928 and so on.

11 But all these other types of  
12 devices that have grown up basically  
13 underlaying our licensed service bands, many  
14 of us don't know where they are. And I think  
15 at least as part of the inventory, that would  
16 be helpful to have as opposed to trying to get  
17 into well, how much are they operating and so  
18 on.

19 I think if you talk about car key  
20 fobs, everybody has one now. We'll need to  
21 debate how much they're used. We know they're  
22 there, and I think that becomes a key

1 component.

2 CO-CHAIR TRAMONT: Michael, you're  
3 next.

4 MR. CALABRESE: Yes, I think it's  
5 useful to know, I mean, you know, after  
6 listening to Marty and so on, useful to know  
7 that there is - the report is schizophrenic on  
8 measurements because the committee was  
9 extremely divided on that issue.

10 So, for example, on the one hand  
11 we have this appendix that talks about all the  
12 benefits of measurements, which I think we  
13 would agree. And then we ended up agreeing to  
14 that that could be limited to verification and  
15 spot checking and so on.

16 On the other hand, there's some  
17 language in the front which I'm surprised to  
18 see is still here. Measurements of spectrum  
19 occupancy will offer little or useful  
20 information that is not already available from  
21 existing sources, which several of us  
22 vehemently disagreed with and I thought we had

1       agreed to take out.

2                   So, there's this, you know, very  
3 much a division. It will be interesting to  
4 look at this juxtaposed to the transparent  
5 report which I think also have a different  
6 view from that sentence.

7                   So anyway, this may be something  
8 that we will need to continue airing with the  
9 full committee as far as what is the value of  
10 actually knowing what's happening as opposed  
11 to what's on a paper record or what people  
12 self-report when in many cases they don't  
13 actually know what's happening on a band that  
14 they license because there may be  
15 transmissions that are coming over from other  
16 bands, rogue operators, you know, some of the  
17 sort of things that are mentioned in the  
18 appendix, as well as the benefit on bands such  
19 as the unlicensed.

20                   CO-CHAIR TRAMONT: Greg.

21                   MR. ROSSTON: So, I guess I wanted  
22 to sort of follow up on Harold's point a

1 little bit, which is we very much want to make  
2 sure that people who have licenses understand  
3 that this is sort of telling what's going on.  
4 But also when I often talk about doing a  
5 spectrum inventory, tells you what people are  
6 doing, but it does not tell you how much it's  
7 worth. And you need to think about sort of  
8 what's the value of the transmission or the  
9 ability to have unfettered transmission at  
10 certain points in time for public safety or  
11 things like that that need to have the ability  
12 to communicate without interference at very  
13 critical points in time.

14 So, I think that's an important  
15 thing to put in to qualify that yes, this is  
16 an important thing to understand how the  
17 spectrum is being used and when it's being  
18 used, but that it does not necessarily  
19 indicate that supposedly underutilized  
20 spectrum from a technical perspective is not  
21 necessarily underutilized from an efficiency  
22 spec point of view.

1 MS. WARREN: I just wanted to  
2 address two points which I think are important  
3 and were raised by different members'  
4 comments.

5 The purpose of the inventory, I  
6 mean, we talked a lot about that, what is the  
7 purpose of it. And we looked at it not as a  
8 tool for reallocation or sharing, but really  
9 a way to give policymakers an understanding of  
10 what is there.

11 So, that's why I think you see  
12 some of the tonal balance perhaps, and I think  
13 we can even say that very much up front what  
14 it's purpose is not. And if it were looked at  
15 only as a tool for reallocation and sharing,  
16 it's not the solution for the future of mobile  
17 broadband or anybody else's uses which we  
18 don't talk about so much.

19 But I do think that a lot of the  
20 technical inventory suggestions that we have  
21 are intended to help policymakers start to  
22 look at okay, there may be underutilization

1 even in licensed bands. I don't particularly  
2 think licensed bands are sacred, and maybe  
3 there is an opportunity for sharing if not,  
4 you know, obviously reallocating.

5 In terms of value, I think we  
6 tried to address that by talking about  
7 missions and the purposes and uses that the  
8 specific spectrum bands and assignments were  
9 being used for so that there was a better  
10 understanding to the policymakers not just  
11 with the allocation set, but what the  
12 individual uses at a sublevel were, again, to  
13 give them a better tool for understanding what  
14 it was. I just wanted to highlight that.

15 CO-CHAIR TRAMONT: Gary.

16 MR. EPSTEIN: This is a very risky  
17 suggestion, but there are a lot of good  
18 suggestions that are being made here and we  
19 will try to capture them in our subcommittee,  
20 but if people want to do specific language it  
21 would even be more helpful.

22 MR. CROSBY: Greg's thing on the

1 value of the transmission, that almost is  
2 another whole working group, because you can  
3 make - well, that's fine, but this is going to  
4 make some very hard decisions.

5 Police officers' communication is  
6 critically more important than somebody on  
7 their iPhone finding out the menu at a Mexican  
8 restaurant, right?

9 And so there's going to be some  
10 very interesting discussions.

11 MR. EPSTEIN: There's a relatively  
12 easy way to handle it, and it's, I think, what  
13 Karl said. And that is basically this is a  
14 warning signal for further investigation.

15 As Jennifer said, it's not a  
16 decision-making tool.

17 MS. WARREN: Exactly.

18 MR. ROSSTON: First of all, I think  
19 that this is a very important way to do  
20 things, and I just wanted the caveat that this  
21 does not say value doesn't, you know, at some  
22 point someone should think about values and

1 the idea that John Leibovitz talked about, the  
2 voluntary reallocation and things like that  
3 are ways to think about value, but I think we  
4 want to just put the caveat this is a  
5 measuring use, not necessarily measuring  
6 value.

7 MS. WARREN: It's not just  
8 measuring use. It's identifying what the use  
9 is, and that is the value, one would argue,  
10 for the policymaker to see, and then go off  
11 separate from the inventory and make policy  
12 decisions. And those people then equate oh,  
13 I think public safety is more important than  
14 MSS.

15 CO-CHAIR TRAMONT: Rob and Kevin.

16 MR. GURSS: What is the use that  
17 the - when you say what the use is, do you  
18 mean the content or what the technical plan  
19 is?

20 MS. WARREN: If I recall correctly,  
21 and I now can't remember which document it's  
22 in because I worked so much on both, but in

1 one of the two documents, transparency or  
2 inventory, we recommend that it be clearly  
3 understood with the use, to what use is the  
4 frequency assignment or the license being put  
5 or the spectrum being put.

6 So, if it's a key fob, an MSS  
7 service, air traffic radar versus just generic  
8 radar, you know, I'm a little familiar with  
9 those types of measures that we were talking  
10 about, but there would be a gradation beyond  
11 there's a radio navigation allocation here.

12 Well, does that tell, you know,  
13 that might not tell policymakers as much as  
14 explaining so what purpose does that serve.  
15 That's what I meant.

16 And it's in one of the two  
17 documents, but I apologize I don't recall  
18 which.

19 CO-CHAIR TRAMONT: Kevin.

20 DR. KAHN: Sorry. I just want to  
21 come back one more time to this issue and I'll  
22 try to phrase it in a slightly different way.

1                   What's done here and what this  
2                   committee I think was chartered to do is  
3                   relevantly speaking retrospective at any given  
4                   time. Which is to say that you wind up with  
5                   a database that you will struggle on a  
6                   continuing basis to try to keep useful and  
7                   accurate and up to date.

8                   And I wonder for - and if I  
9                   broadly broke thins into the 24-hour seven  
10                  stuff like Jennifer listed the radars and the  
11                  map signals, things like that, and the other  
12                  stuff that's not, whether he's thinking  
13                  whether in this committee or maybe getting it  
14                  for future discussion somewhere else about are  
15                  there technical things that we might suggest  
16                  going forward that would have a little more of  
17                  a prospective view of things self-reporting by  
18                  radio systems when deployed.

19                  Because again, you know, I just  
20                  observed that we have moved from a world in  
21                  which the radios barely had enough smarts to  
22                  get their signals on the air, to one in which

1 there's a ton of confrontation essentially out  
2 there in these things.

3 And in thinking about this problem  
4 on a continuing basis and how do we have a  
5 picture of the way in which spectrum is used,  
6 I think it would behoove us to ask is there a  
7 way to harness that technology to get that  
8 picture reported to the policymakers and more  
9 continually update a contemporaneous manner at  
10 least to take that as a target so that by 2020  
11 some committee is not sitting in a room like  
12 this going geez, spectrum inventory is kind of  
13 out of date, how do we get it updated.

14 I mean, somehow we ought to be  
15 thinking how do we move to a mechanism where  
16 we use the technology to give this kind of  
17 data in a continuing basis to the -

18 CO-CHAIR TRAMONT: I think we  
19 should put a marker down for that as a  
20 possible -

21 MR. COOPER: Kevin, just a former  
22 working group, I understand exactly what you

1 said and we're going to work very hard to  
2 embed something in our report.

3 DR. KAHN: Okay.

4 CO-CHAIR TRAMONT: Bob is going to  
5 wrap this one up.

6 MR. GURSS: Just kind of briefly on  
7 Kevin's comment about that, I mean, we've  
8 heard others in terms of the technical  
9 capabilities that you were describing. I  
10 assume they'll be there or are there.

11 I guess two issues come around.  
12 One on the federal side is security issues  
13 because how much information do you want about  
14 how a particular device is used to be in a  
15 database.

16 And on the FCC side, you run into  
17 privacy issues in terms of that. So, I'm not  
18 saying either of those are insurmountable.  
19 But I think going forward, those would be  
20 important issues to consider.

21 CO-CHAIR TRAMONT: Great. With  
22 that, I think we will end the discussion on

1 this draft report. Thank you for the very  
2 hard work of the committee and producing this  
3 excellent draft.

4 Our mission now will have whatever  
5 version number we're on at the next meeting,  
6 will be the final voted upon version. So,  
7 urge people to take a closer view of the  
8 draft, get their thoughts to the committee so  
9 that they can incorporate them to the extent  
10 that there's a consensus around those edits  
11 and move to final draft, and we will vote on  
12 the draft at the next meeting.

13 Yes, Gerry.

14 MR. SALEMME: So, just from a  
15 process standpoint, so if we're making  
16 comments on this draft, is the draft moving?  
17 Are you doing other things with it?

18 MR. CROSBY: No.

19 CO-CHAIR TRAMONT: Why don't we set  
20 a timeline for a requested feedback loop.  
21 What would you - three weeks?

22 MR. CROSBY: When is the next

1 meeting?

2 CO-CHAIR TRAMONT: It's to be, we  
3 hope, eight to ten weeks out.

4 MR. CROSBY: eight to ten weeks.  
5 Okay. Three weeks.

6 CO-CHAIR TRAMONT: Three weeks.

7 MR. CROSBY: We can't do anything  
8 with it next week, but know that I just assume  
9 you give me a red line.

10 CO-CHAIR TRAMONT: Yes.

11 MR. CROSBY: Give me a red line so  
12 that I can keep track of all of this.

13 CO-CHAIR TRAMONT: Let's say about  
14 April 1. Does that make sense, 1st of April?

15 MR. CROSBY: That's good.

16 CO-CHAIR TRAMONT: Okay.

17 MS. WARREN: Can I make one  
18 comment?

19 We did try to incorporate comments  
20 that were provided last time when Mark went  
21 through the outline. So, for example, Gerry,  
22 noting a satellite issue or two in terms of

1 spectrum harmonization and things.

2 So, we did try to encompass that  
3 as well, so look for that.

4 MR. SALEMME: Okay. The last thing  
5 is, is there a soft copy? Because I don't  
6 think I have a soft copy.

7 MR. CROSBY: Joe Gattuso has a soft  
8 copy.

9 MR. GATTUSO: Can we put this on -

10 CO-CHAIR TRAMONT: Okay. Well, if  
11 not, we will.

12 MR. GATTUSO: And if you'd like, we  
13 can start posting this on the website --

14 CO-CHAIR TRAMONT: Sure.

15 MR. CROSBY: Version 8.

16 CO-CHAIR TRAMONT: Yes. The latest  
17 and best.

18 MR. DONOVAN: Just a process point,  
19 Mr. Chairman.

20 CO-CHAIR TRAMONT: Oh, boy.

21 (Laughter.)

22 MR. DONOVAN: As the subcommittees

1 present their reports and the rest of the  
2 committee reviews that report, if there are  
3 disagreements among - I can't imagine why  
4 there would be.

5 CO-CHAIR TRAMONT: No.

6 MR. DONOVAN: If there are  
7 disagreements among us, does the full  
8 committee contemplate sort of here's the text  
9 of the vote of the full committee with  
10 minority positions in the footnotes? Classic  
11 FCC stuff.

12 So, how are we going to approach  
13 that?

14 CO-CHAIR TRAMONT: This is an  
15 excellent topic. It's had varied answers over  
16 the course of our three-year tenure.

17 I think our goal is to emerge with  
18 a consensus document. We in the past have had  
19 if there is not a consensus that emerges in  
20 the past, we have had a majority and a  
21 minority view. And so that is a path forward,  
22 if that is the only path. If need be, that is

1 a path forward.

2 MR. DONOVAN: So, in the context of  
3 reviewing documents and people sending in  
4 their various positions, should that be done  
5 up front or is this something that we do if we  
6 can't reach -

7 CO-CHAIR TRAMONT: I think ideally  
8 what would happen is the subcommittee  
9 leadership would come to the conclusion that  
10 there is an inalterable difference of opinion  
11 amongst the committee. And then there would  
12 be a charge placed on the minority view to  
13 create a document that would reflect their  
14 views most accurately. That would be  
15 presented along with the final draft report  
16 that reflects the majority view.

17 MR. DONOVAN: Okay. And then if  
18 the conflict arises at full committee?

19 CO-CHAIR TRAMONT: I'm sorry.

20 MR. DONOVAN: In other words, the  
21 subcommittee may have differing opinions, and  
22 even in my group -

1 CO-CHAIR TRAMONT: Well, you would  
2 now be presented - at this time we are now a  
3 full committee deliberating the documents.

4 MR. DONOVAN: Right.

5 CO-CHAIR TRAMONT: So, the sense of  
6 whether or not there's a majority will be from  
7 the full committee.

8 MR. DONOVAN: Okay.

9 CO-CHAIR TRAMONT: Hopefully there  
10 will not be something that emerges in the  
11 drafting between now and April 1 that's  
12 different from what would happen at our  
13 ultimate meeting in May.

14 So, presumably if there's an  
15 issue, it will get fleshed out in this next  
16 round.

17 MR. DONOVAN: Okay.

18 CO-CHAIR TRAMONT: Karl.

19 MR. NEBBIA: I just wanted to  
20 mention we certainly value the back and forth.  
21 We recognize everybody is not always going to  
22 agree, but ultimately what we really need is

1 clear, actionable recommendations. Because,  
2 in fact, part of this process ultimately is we  
3 get queried to report on how many of the  
4 recommendations that we've acted on and what  
5 we've done with them.

6 So, if they're not clear enough  
7 for us to figure out what the recommendation  
8 actually is, we don't know whether to count  
9 that or not count that and so on. So,  
10 ultimately we need that. For all of the other  
11 debate and back and forth, we need clear,  
12 actionable recommendations. Thank you.

13 CO-CHAIR TRAMONT: Great. Okay.  
14 With that, we will move on to Darrin Mylet's  
15 presentation on the work of the Transparency  
16 Subcommittee.

17 MR. MYLET: All right. So, good  
18 afternoon and thanks to those who have been  
19 able to make major contributions to this  
20 report. I do invite everybody on the task  
21 force to take a look at the document, red  
22 line, give us any suggestions, any concerns

1       you might have.

2                       Certainly is an interesting topic,  
3       spectrum transparency.  Because when you  
4       listen to the commercial side and you listen  
5       to the federal side, you think that all the  
6       spectrum is used, allocated or maybe  
7       inefficiently used.

8                       The facts of the matter is I don't  
9       think we have a spectrum transparency  
10      definition, so first of all we tried to  
11      develop a spectrum transparency definition.  
12      So, I invite you to read that on Page 9.

13                      With regards to getting into  
14      spectrum transparency and understanding  
15      transparency, it's difficult for our group to  
16      know what FCC or NTIA leadership see or have  
17      the ability to see relative to any and all  
18      wireless spectrum resources in our country  
19      both at the federal and non-federal level, or  
20      in fact do they even want to see it may be  
21      another question.

22                      What procedures sort of exist?  I

1 mean, we saw some of those today. And what  
2 tools are there? When I looked at that IRAC,  
3 it looked like a bunch of paper files.  
4 Hopefully we'll move to more electronic files  
5 and more electronic capabilities perhaps as we  
6 move forward.

7 But this is the first time I think  
8 we've addressed transparency, and I  
9 anticipated there would be further education  
10 discussions on what is use, what's non-use,  
11 what's saved, what's reserved, what's  
12 warehoused at the federal/non-federal level.  
13 And I think we're trying to address some of  
14 those in this particular document  
15 understanding assignments and allocations,  
16 looking at the value of monitoring and  
17 measurements which, to me, can really  
18 illustrate transparency.

19 I don't know about a lot of people  
20 in the group, but I get tired of referencing  
21 four and five-year-old spectrum utilization  
22 studies. Let's reference some reality. Let's

1 get to the spectrum fact. And I think that's  
2 the theme of what we're attempting to do.

3 Discussions on use and discussions  
4 on non-use and really being able to identify  
5 that particular spectrum specificity is  
6 certainly a theme of the recommendations that  
7 we have.

8 And if spectrum is in fact being  
9 used, then you have another level of  
10 discussion which to me sort of gets to the  
11 efficiency question.

12 If there's nothing on the air,  
13 there's no transmitters or receivers and  
14 nothing planned, well, then that spectrum  
15 isn't used. But if there is a system that's  
16 using five or ten-year-old technology, that  
17 may be a question of analyzing efficient use  
18 of the particular spectrum, but you can't get  
19 into these discussions without levels of  
20 transparency that I think we're trying to get  
21 at here.

22 As a citizen, a member of CSMAC,

1       this document is really tailored, in my  
2       opinion, towards the leadership of NTIA and  
3       the leadership of FCC to assure me that the  
4       fed and non-federal spectrum is not  
5       artificially scarce. Which I tend to believe  
6       as an individual, that it is artificially  
7       scarce. Transparency seems to be a theme of  
8       this administration, so let's do it. And  
9       that's part of the recommendations that we're  
10      attempting to build here.

11               The consensus finding and theme of  
12      our recommendations indicate within the  
13      discussions we've had with NTIA folks, we all  
14      admit we can do better, and we have to do  
15      better. Given what's coming down the road, I  
16      believe there's no time more than now to get  
17      proactive in this.

18               I mean, I think the spectrum  
19      inventory is the first inning of a nine-inning  
20      baseball game, and I think we're going to be  
21      moving forward and getting better at that.

22               FCC and NTIA leadership and staff

1 can push industry and agency alike to clearly  
2 and accurately know how much is out there, how  
3 much they have in their control, how much is  
4 used. More technical and strategic folks can  
5 analyze and advise on policy regarding  
6 efficiency, which seems to me to be more about  
7 evaluating a specific system or mission.

8 But again if we continue to see  
9 that 80 to 90 percent of the spectrum in  
10 certain areas comes up on modern spectrum  
11 analyzers not being used, it would be nice to  
12 have some specificity behind that.

13 So, regarding facts, a prominent  
14 official once observed we policymakers are  
15 like surgeons. We won't last long if we  
16 ignore what we see once we cut the patient  
17 open.

18 I think it's time we cut the  
19 spectrum patient open and see the reality, and  
20 transparency can provide this.

21 (Laughter.)

22 MR. MYLET: And that's the way I

1 view spectrum is we need to be surgical. We  
2 need to cut into it and really, really see it.  
3 That would eliminate speculation,  
4 probabilities, possibilities, estimates, best  
5 guesses which I think reinforces the status  
6 quo of this spectrum chaos I sometimes think  
7 we're in.

8 The current spectrum  
9 administration and management systems seem to  
10 me to be a spectrum fortress difficult to  
11 penetrate and understand. By implementing  
12 transparency, we'll get to more  
13 accountability, in my opinion, and eventually  
14 more use. Primary, co-primary, secondary  
15 sharing, all these things.

16 So, we're not even close to  
17 hitting the broadband demand that's out there.  
18 The incumbents and innovative companies alike  
19 need more access. Federal agencies need more  
20 access to the spectrum.

21 So, this is the theme of the  
22 paper. I think we've made an attempt to

1 identify a lot of ideas here, certainly opened  
2 up the floor in ideas and recommendations.

3 Transparency isn't about  
4 reallocating or reassigning. To me, it's  
5 about getting to the spectrum truth and  
6 knowing specifically if you have 5,000  
7 megahertz in the low five gigahertz, every  
8 five or every one or every ten megahertz in  
9 any specific geography of your choosing, zip  
10 code, state, country, who has it and how much  
11 do they have and maybe how much do they use.

12 So, with that I'll leave it open  
13 to the floor for discussion. Thank you.

14 CO-CHAIR TRAMONT: Just a reminder  
15 our process here will be the same for this  
16 report that's in full draft. So, we're  
17 looking for edits by April 1st.

18 So, thoughts on Darrin's draft?

19 MR. FURCHTGOTT-ROTH: Again, you  
20 all have done an enormous amount of work. I'm  
21 very impressed by the work that's been done.

22 I just want to get some

1 clarification of - there's a lot of overlap  
2 between this and the spectrum inventory group.  
3 There's some overlap also in subcommittee  
4 members.

5 I just want to get some guidance  
6 to the full committee about the difference in  
7 approach of these two subcommittees.

8 MR. MYLET: Well, my feeling is  
9 that spectrum inventory is satisfying a  
10 specific request, time, date, certain, you  
11 know, it's sort of one singular output. And  
12 I felt that spectrum inventory was sort of the  
13 beginning of trying to develop technology and  
14 policy towards a more comprehensive  
15 transparency.

16 CO-CHAIR TRAMONT: Just an  
17 institutional thing, and then Michael and then  
18 Gary.

19 We have tried at the beginning of  
20 each process to have a scope of work statement  
21 from each of the subcommittees. As you'll  
22 recall, we formed the committees, we asked for

1 scope of work discussions, yet we're distinct.

2 It does underscore the importance  
3 of that process. We're about to form two new  
4 committees. We should probably focus very  
5 clearly on what the scope of work is, and then  
6 try and stick with it so that we don't have  
7 too much mission creep. So, it's just an  
8 institutional note.

9 I think it's inherent that issues  
10 are closely related, so there will be some  
11 issue creep and bleed. But I think we need to  
12 be sensitive when we define the scope of work.  
13 And as people are working towards their final  
14 products, that they're within the boundaries.

15 Michael.

16 MR. CALABRESE: Yes. Actually, to  
17 that I thought that there was a very useful  
18 distinction that's framed in this transparency  
19 report which is between the internal spectrum  
20 transparency and external.

21 So, the inventory group was  
22 concerned primarily with what's being

1 presented, you know, what is kind of the list  
2 of parameters or metrics to be presented to  
3 the public kind of speaking a little bit more  
4 toward the bills that are about to go through  
5 congress in that regard.

6           Whereas I saw this as being its  
7 most important recommendations focus more on  
8 the internal transparency for actual  
9 management by NTIA and FCC. So, in fact,  
10 along those lines I just wanted to highlight  
11 what I felt were real terrific framing in  
12 terms of this notion of zero-based spectrum  
13 budgeting based on NTIA requiring periodic  
14 reporting of actual use on a shorter than  
15 five-year time frame. I think the  
16 transparency committee says two years.

17           And that sort of notion, you know,  
18 bringing this notion of zero-based budgeting  
19 to spectrum on a usage basis, I think could be  
20 really important. And then backing that up  
21 with the sort of spot check measurements that  
22 I think are recommended in both reports

1 particularly where there may be some valid or,  
2 as Gary said too, just as a way of identifying  
3 where further investigation is needed.

4 That sort of threesome is very  
5 powerful, potentially.

6 CO-CHAIR TRAMONT: Gary.

7 MR. EPSTEIN: This is outside of  
8 the discussion, but I don't really care.

9 (Laughter.)

10 MR. EPSTEIN: In other words, there  
11 is a lot of overlap in this stuff. And as long  
12 as somebody at the end goes through it and  
13 makes sure we're consistent, we're okay.

14 In particular, I think Question 2  
15 and 3 are where there's the most overlap. 1,  
16 3, 4, 5, 6 and seven go to - the rest of them  
17 I think really do go to different type of  
18 transparency and who gets to see what and how  
19 you work through that, but there is a fair  
20 amount of overlap there. It may be  
21 inevitable, may be fine, just we shouldn't be  
22 silly. We should be saying the same thing

1 with both reports when it gets to the end.

2 CO-CHAIR TRAMONT: Fair enough. I  
3 agree with you not to be silly.

4 (Off the record comments.)

5 MR. ROSSTON: I think this is again  
6 really important that transparency sort of  
7 knowing what's there and knowing who has the  
8 rights or who's using different spectrum is a  
9 great idea.

10 One of the frustrations I remember  
11 when doing auctions at the FCC, is the FCC  
12 said here we have this database of license  
13 assignments and thing, but you're buying this,  
14 but you need to go and do your own  
15 investigation and buy this at your own risk,  
16 and our database isn't the all end all.

17 And I would love the transparency  
18 to sort of say somehow clarify who has what  
19 and make it be a real official, like, property  
20 rights of real property or something that says  
21 here is something that this transparency group  
22 can pull this out to be a reasonable, accurate

1 database.

2 CO-CHAIR TRAMONT: Yes, the notion  
3 of clean title in the auction context is a  
4 fascinating one. And whether or not it's ever  
5 achievable is - Kevin.

6 DR. KAHN: One of the things  
7 actually I liked about this, and maybe it  
8 might bear emphasizing a little more as the  
9 draft finishes up, is I took this as sort of  
10 almost a philosophical positioning of the  
11 importance of transparency as a principle  
12 throughout the government.

13 And particularly, I mean, within  
14 the bounds of course of FOIA exempt and  
15 secrecy, I mean, I don't necessarily mean  
16 going all public, but one of the things  
17 Michael said I detect periodically, and I  
18 don't mean to pick on you here because I think  
19 there's a truth to it, and it's a truth that  
20 we ought to be trying to encourage to go away,  
21 which is this notion of the holder of spectrum  
22 having a secret to keep from the people who

1       might look over his shoulder within the  
2       government and ask are you being a wise  
3       steward?

4                   And I think the real message of  
5       this is that we ought to be trying to get to  
6       a place where all spectrum managers within the  
7       government see - now, you'll never get there  
8       of course, but see the optimization of  
9       spectrum use as a good and not be in this  
10      position we are today where we all suspect,  
11      right, that there is folks somewhere inside  
12      the Pentagon hiding away spectrum they don't  
13      really need. You know what I mean?

14                   And philosophically that's a very  
15      different position to get to. And so, I mean,  
16      one of the things I took out of this report  
17      was actually that it was a call to a different  
18      philosophical kind of underpinning for how the  
19      government should try to get its players to  
20      treat spectrum and be - the inventory is more,  
21      you know, and whatever comes out of the  
22      inventories is sort of the concreteness of

1 that, you know, can I find stuff, can I  
2 measure the stuff?

3 But if we can actually get people  
4 to get us all out of this sort of it's a  
5 conflict mode, to some degree at least I think  
6 we'd all benefit from it.

7 CO-CHAIR TRAMONT: And to drive  
8 your point, having a global view of all  
9 spectrum use whether it's not just the  
10 commercial guys or not just public safety or  
11 not just federal government.

12 DR. KAHN: Yes.

13 CO-CHAIR TRAMONT: I thought that  
14 was very compelling as well.

15 Jennifer, and then we'll move on.

16 MS. WARREN: I just wanted to pick  
17 up on Greg's point because I think if you look  
18 at maybe second and third lines of some of the  
19 recommendations, you'll see that there are  
20 recommendations that go through NTIA to the  
21 FCC as well to address some of not necessarily  
22 the property rights, that will be a whole

1 other debate, but on at least understanding  
2 who's there and giving a fuller picture of it.

3 CO-CHAIR TRAMONT: Anybody else?

4 MR. MYLET: NTIA has provided - we  
5 will be talking to NTIA about this. I think  
6 they're just now getting a copy and reading  
7 it. We look forward to getting those comments  
8 and injecting that information.

9 One of the ideas out of this, too,  
10 that I thought about that's just a separate  
11 idea, but sort of the gross spectrum product  
12 knowing how much spectrum we've allocated or  
13 assigned, and having some sort of measure of  
14 what we think we probably use, might be an  
15 interesting statistic that we evolve to in the  
16 future. And that may also reflect our  
17 broadband rankings as a country perhaps as we  
18 go forward.

19 CO-CHAIR TRAMONT: It's a  
20 fascinating think tank project. The gross  
21 spectrum product every year each quarter is a  
22 report on how we're doing. Great.

1                   With that, we're going to move on  
2                   to the next subcommittee. Final thoughts on  
3                   Darrin's? Very good.

4                   Mr. Donovan, you're up next on the  
5                   Adjacent Band/Dynamic Spectrum Access  
6                   Subcommittee, and our goal here is slightly  
7                   different.

8                   David has a memo that he's  
9                   presented to the group. A draft will follow.  
10                  We're once again driving toward adoption of a  
11                  final report in May.

12                  Mr. Donovan.

13                  MR. DONOVAN: Thank you, Mr.  
14                  Chairman. Professor the paper is almost  
15                  drafted. Almost, I promise.

16                  The bottom line here is that we  
17                  have been working, and I've laid out what we  
18                  believe is sort of the task and was hinted  
19                  around this morning.

20                  And that is if you're going to  
21                  fully realize either investment both from the  
22                  consumer side and also from the communications

1 investment side, we really need to articulate  
2 or have clearly articulated interference  
3 rights.

4 To use the property analogy which  
5 has been used, in essence these are the  
6 property rights, the boundaries of any new  
7 system that's being devised. And it is  
8 becoming increasingly complex with additional  
9 sharing. Also, with respect to you may have  
10 a system in which you've auctioned your  
11 purchase spectrum, you develop your system.  
12 Then a year or two later you end up sharing.

13 Those types of things with  
14 spectrum demand increasing are things that we  
15 really begin to have to consider, and it comes  
16 home to roost in the interference approach.

17 So, what we have done is  
18 essentially to do the following: We have about  
19 a 50-page paper that we're trying to still  
20 down for easy consumption. First is to go  
21 through the various interference mechanisms  
22 that we face now and that we are likely to

1 face going forward.

2 Then also looking at the various  
3 methods by which one can prevent that  
4 interference looking at the use of guard  
5 bands, the harmonization of spectrum  
6 allocations and allotments, cognitive radio  
7 techniques, frequency agile radio sensing, the  
8 uses of databases, all of those are forward-  
9 looking ways of avoiding interference and  
10 sharing.

11 We look also at the relationship  
12 between spectrum efficiency and interference  
13 and receiver performance. I think one of the  
14 key things that is lost in this debate is when  
15 you look at spectrum, is it being used  
16 efficiently or isn't it, a lot of it is a  
17 function of the receivers and how tolerant the  
18 receivers are to either operations on the  
19 adjacent channels and there are always policy  
20 implications that go on with that.

21 So, I think on a going-forward  
22 basis in terms of spectrum management, one of

1 the things we are looking at is to what extent  
2 the government should become more heavily  
3 involved in looking at the receiver side of  
4 the equation.

5 And that is obviously a very  
6 difficult area. It's one that certainly the  
7 Commission has sort of been into, but  
8 certainly this adds on another layer of  
9 complexity.

10 The other thing is, the fourth  
11 element that we're looking at is once you  
12 establish this type of model particularly with  
13 sharing, how do we deal with enforceability of  
14 interference rights?

15 Normally if you look at  
16 Commission's processes and complaints are  
17 filed with respect to interference, it can  
18 take months for them to ultimately be  
19 resolved. And it's very difficult, for  
20 example - in a real property case, you would  
21 be able to go to court and be able to get a  
22 temporary restraining order if you proved your

1 case to try to stop that. That's not what we  
2 have in the regulatory regime right now.

3 And so the question is, is what  
4 types of mechanisms should we look at?

5 Hopefully, and one would hope,  
6 that the technology would obviate the need for  
7 that type of oversight if it works, but I  
8 think that's one thing that we are looking to  
9 explore.

10 I think finally the other thing  
11 that we're looking at is you have different  
12 interference resolution regimes that vary  
13 depending on the service. And I think one of  
14 the things, and this is very, very hard to do,  
15 but one of the things that we're looking at is  
16 to try to get a sort of basic set of  
17 principles by which folks can be governed by.

18 I want to thank Neville. I know  
19 David has done some terrific work. Neville  
20 has done work. Mr. Salemmme has contributed.  
21 Mark McHenry has contributed. Janice  
22 Obuchowski has contributed. And we're looking

1 to wrap this up and hopefully get a document  
2 out in the next several weeks.

3 CO-CHAIR TRAMONT: Great. Thoughts  
4 for David on his committee's work.

5 MR. GURSS: I just thank you on  
6 your emphasis on receiver issues. I remember  
7 that one being an issue for many, many years,  
8 and a frustrating one.

9 But just from the practical  
10 perspective of users of the spectrum, I mean,  
11 the lack of receiver standards often lead to  
12 huge problems in trying to move spectrum  
13 efficiently and then creating interference  
14 problems that you might have to undo. Where  
15 if you had better receivers, you could live  
16 together. So, that's very good.

17 CO-CHAIR TRAMONT: Jennifer, and  
18 then Marty.

19 MS. WARREN: I think the way this  
20 sounds, it's going to be really interesting to  
21 read. And with the goal of the adoption at  
22 the next meeting of the report that I think

1       you said right now is at 50 pages, but is  
2       going to be somewhat synthesized, perhaps it  
3       would be possible to distribute it to this  
4       group in its entirety sooner other than later.

5                   MR. DONOVAN: Absolutely.

6                   MS. WARREN: Because I really don't  
7       know how we can digest that and properly serve  
8       our role to adopt something we haven't seen in  
9       full form at the next meeting.

10                  CO-CHAIR TRAMONT: Yes, it's a  
11       goal. And if it doesn't work out, it doesn't  
12       work out, but our goal is to get a full draft  
13       circulated to everyone and to be put on the  
14       website, and then to drive the process from  
15       there.

16                  So, if it works out great, if  
17       there's not enough time, then we can -

18                  MR. DONOVAN: No, there will be  
19       plenty of time. Our goal is to get this out  
20       way in advance of the next meeting. It's  
21       almost there, it's just not quite so.

22                  CO-CHAIR TRAMONT: Great. Any

1 other comments? Marty, did you want to -

2 MR. COOPER: Well, David, I'll get  
3 you some verbiage so you can add something in  
4 there about interference mitigation by multi-  
5 antenna processing.

6 MR. DONOVAN: Sure. Absolutely.

7 CO-CHAIR TRAMONT: Okay. With  
8 that, thank you, David, very much.

9 We'll move on to Michael, who has  
10 graciously agreed to take the leadership of  
11 the Incentive Subcommittee and has a brief  
12 report, I suspect, since his chairmanship is  
13 relatively a recent vintage.

14 MR. CALABRESE: Okay. Well, we  
15 really - nobody's missed a meeting because I  
16 just recently found this out.

17 (Laughter.)

18 MR. CALABRESE: I thank Bryan and  
19 Dale for having the confidence to hand me a  
20 hot potato. I understand that this was a  
21 somewhat contentious issue on the CSMAC in the  
22 past, which is probably why it makes sense to

1 have somebody new to CSMAC wade in thinking  
2 that they can get consensus.

3 But in any event, we'll try to  
4 both look back at what's been discussed in the  
5 past as well as bring new ideas to the table.  
6 If anyone else would like to join or if you're  
7 not sure you've already volunteered for the  
8 subcommittee, please let me know and we'll  
9 have a first meeting within the next two weeks  
10 and try to meet several times before the next  
11 general meeting.

12 CO-CHAIR TRAMONT: I think our hope  
13 would be a draft report at the next meeting if  
14 we possibly could drive to that.

15 MR. SALEMME: So, you had mentioned  
16 that you were going to define the scope of the  
17 report? Is that -

18 CO-CHAIR TRAMONT: So, at the  
19 beginning -

20 MR. SALEMME: Is this more -

21 CO-CHAIR TRAMONT: Yes, this one  
22 has been done.

1 MR. SALEMME: Okay.

2 CO-CHAIR TRAMONT: The ones we are  
3 about to discuss, we will need to find the  
4 scope.

5 MR. SALEMME: Okay.

6 CO-CHAIR TRAMONT: So, this one we  
7 defined the scope when the committee was first  
8 created.

9 So, anything on Michael's work  
10 before we move on to new topics? Great.  
11 Thank you.

12 So, Dale and I chatted before the  
13 meeting, and what we thought we would do in an  
14 effort to create the two new committees, just  
15 review the list of topics that were brought up  
16 the last time, but not selected. So, let me  
17 just review that list with the idea that these  
18 could become topics for this for our next two  
19 committees.

20 One was the National Spectrum  
21 Plan, what should be in such a plan, what are  
22 the merits of having a National Spectrum Plan.

1 Unlicensed policy, radars, defining harmful  
2 interference, receiver standards building off  
3 of some of the discussion David has.

4 So, that was the list of  
5 unselected topics or not selected topics from  
6 the last time. I think also I started  
7 science, testing, passive was there. But we  
8 did not receive any votes the first time, so  
9 we did not think that was a strong competitor  
10 for a topic this time.

11 In addition, two other topics  
12 could have emerged. One is that as Anna  
13 discussed in her opening remarks this morning,  
14 Secretary Strickling is very interested in  
15 technical sharing and the scope of policies  
16 that would encourage sharing. And she very  
17 much wanted to encourage us to look at that as  
18 a potential topic.

19 And then I think Kevin's  
20 suggestion earlier builds on some other  
21 discussions we've had about monitoring  
22 measurements and something along the lines of

1 sort of data collection reporting as a way to  
2 sort of have a constantly evolving database,  
3 a current database on spectrum use issues.

4 So, I think that's the list. Are  
5 there any additional topics people would like  
6 to suggest?

7 Jennifer.

8 MS. WARREN: Well, actually I think  
9 it was one that came up before and would be  
10 pertinent with respect to sharing. And I  
11 believe Janice Obuchowski raised it last time,  
12 which was enforcement.

13 CO-CHAIR TRAMONT: Oh, yes.

14 MS. WARREN: And I think that kind  
15 of permeates as an underlying issue with  
16 respect to technical sharing.

17 MR. DONOVAN: Right. Jennifer, we  
18 have that covered here.

19 MS. WARREN: You do? Okay.

20 MR. DONOVAN: There's an  
21 enforcement section as well as, frankly, a  
22 sharing section.

1 MS. WARREN: Okay.

2 MR. DONOVAN: Because we're looking  
3 at it from a constructive and interference  
4 avoidance mechanism.

5 MS. WARREN: Okay.

6 MR. DONOVAN: So, that if one  
7 shares in the technology that allows that to  
8 be used, it allows you to prevent co-channel  
9 or adjacent channel interference.

10 CO-CHAIR TRAMONT: Yes, let me ask  
11 Karl or Joe or anybody from NTIA, do you know  
12 what Larry and Anna had in mind in terms of if  
13 you're to do a sharing group whether what  
14 David has just described what we're trying to  
15 achieve, or this is two separate topics?

16 MR. NEBBIA: I think my guess is  
17 that they would probably like it explored m  
18 ore as a topic in and of itself in terms of  
19 the kinds of opportunistic technologies that  
20 may be coming as opposed to - once again  
21 there's a lot of aspects of sharing that mix  
22 together compatibility or various submissions,

1 all these different types of things.

2 I think they would like us given  
3 the fact that we're - obviously there's only  
4 so much reallocating, there's only so much  
5 spectrum out there, and then actual sharing  
6 types of technology be they geolocation  
7 sensing.

8 I think they'd like, I think, a  
9 more in-depth discussion of those types of  
10 approaches, I think, specifically.

11 MR. CROSBY: So, we may have scope  
12 creep here or something.

13 MR. DONOVAN: Yes, we're covering  
14 all that. And maybe if you see what we have,  
15 maybe that's probably the best then to see if  
16 you want to go into more detail.

17 MR. SALEMME: My suggestion may be  
18 that this become the basis of more that  
19 actually comes -

20 MR. DONOVAN: That's fine.

21 MR. SALEMME: It takes an outload  
22 of the current workgroup, become the basis and

1 the starting point for the next one if you  
2 want.

3 MR. COOPER: It will be available  
4 soon enough, so it would feed right in.

5 MS. WARREN: That sounds like a  
6 good idea.

7 CO-CHAIR TRAMONT: That does sound  
8 like a good idea, except for the look on  
9 Mark's face.

10 MR. CROSBY: No, the enforcement  
11 one, I'd like to spend a little more time with  
12 that enforcement one. I mean, I know you've  
13 got to put it in the thing, but that's a  
14 pretty credible, you know, what are we doing  
15 today, what's failing today, what needs to be  
16 in place. It's more than just technical and  
17 you can't always assume the equipment is going  
18 to solve all the - or the technical is going  
19 to follow that down.

20 Bringing people with badges that  
21 go in and go you're doing this, it's coming  
22 down, your license revocation, you need some -

1 MR. DONOVAN: No, Mark, I couldn't  
2 agree with you more.

3 MR. COOPER: Okay.

4 MR. DONOVAN: And, in fact, I mean,  
5 one of the classic examples at least from my  
6 industry was when you had sort of your in-car  
7 radio sort of devices and they were coming  
8 through on essentially the bands that National  
9 Public Radio was using. So, you drive up and  
10 suddenly Howard Stern pops in over, you know,  
11 NPR.

12 Now, we went to the Commission and  
13 said that it was happening a lot. I mean, a  
14 real lot. And we went to the Commission and  
15 said fix this. Please fix this.

16 It hasn't been fixed. So, there  
17 are regulatory components that really need to  
18 be dealt with. Because once you have - how  
19 quickly a responsible agency be it the  
20 Commission or some other entity, so it's not  
21 just technology.

22 MR. CROSBY: I don't mean to beat a

1 dead horse. It's very critical, and it gets  
2 to what Harold says. If you don't have proper  
3 enforcement, people don't invest in bands if  
4 people aren't taking care of business.

5 MR. DONOVAN: Couldn't agree more.  
6 And, in fact, Janice Obuchowski, frankly,  
7 wrote that section.

8 MS. WARREN: People don't share.

9 CO-CHAIR TRAMONT: Well, people  
10 have only been sharing since they were five,  
11 right?

12 (Laughter.)

13 CO-CHAIR TRAMONT: Michael, go  
14 ahead.

15 MR. COOPER: Yes, just in terms of  
16 what the scope of some of these might be, I  
17 just wanted to suggest you mentioned  
18 unlicensed, that if we do that, that  
19 particularly in the context of what you said  
20 the assistant secretary's interests are and  
21 what we think is coming in the National  
22 Broadband Plan, that we also think of

1       unlicensed perhaps more broadly, address it  
2       more broadly in terms of not just what we  
3       understand today as 802.11 with Part 15 rules,  
4       but that we look at what could the other -  
5       could there be a more varied ecosystem for  
6       non-licensed sharing of spectrum. Are there  
7       like cooperative protocols? Are there  
8       licensing light? What are some of the  
9       variations around unlicensed that would make  
10      that whole basket more useful for efficient  
11      spectrum access?

12                   CO-CHAIR TRAMONT: Gary.

13                   MR. EPSTEIN: I just have a quick  
14      process question. You started out with a  
15      little bit of a laundry list on stuff we  
16      decided not to do, and then you came up with  
17      stuff that Larry and Anna said we probably  
18      should do, I think. And we're doing a lot and  
19      we're running short of time.

20                   What are we doing here?

21                   CO-CHAIR TRAMONT: I'm sorry. The  
22      goal of the laundry list was these are the

1 things we thought about the last time. There  
2 were a couple suggestions for new topics,  
3 which I was trying to get the whole list out,  
4 with the goal that we as a group are going to  
5 choose two of those that are going to form new  
6 subcommittees today.

7 MR. EPSTEIN: Why?

8 CO-CHAIR TRAMONT: Sorry?

9 MR. EPSTEIN: I'm just asking why.

10 I mean, in other words, we feel we're  
11 incomplete or because Larry Strickling us for  
12 it or this is what we always planned to do or  
13 -

14 CO-CHAIR HATFIELD: Well, we had to  
15 ration last time how much we could do. So, we  
16 rationed it by selecting from among that group  
17 of things we could do.

18 MR. EPSTEIN: Okay.

19 CO-CHAIR HATFIELD: And now since  
20 we've accomplished some of those -

21 MR. EPSTEIN: I see.

22 CO-CHAIR HATFIELD: - pretty well,

1 now we have a chance to pick up the ones that  
2 were left. And what I see happening is we  
3 learn more. As we do these we say oh, gosh,  
4 we should have - this is an area we need to  
5 dig more deeply into. And so those have been  
6 proposed as additional -

7 MR. EPSTEIN: Okay.

8 CO-CHAIR HATFIELD: - potential  
9 topics. So, where I see us is I'd like to have  
10 a sense of the group as to which of these  
11 topics that have been approached so far, we  
12 may want to pick up and make new topics and  
13 make sure that the scope is defined properly  
14 and so forth.

15 So, that's kind of where I see  
16 where we are.

17 MS. WARREN: Just to raise one  
18 point though, four working groups, that was a  
19 lot of working groups this last time. And  
20 even though there were a lot of volunteers for  
21 each of the working groups, I think it's fair  
22 to say a subset was usually - you shouldn't

1 look at who the members were in each one and  
2 say oh, there was ten in each that were  
3 active, because everybody had options with  
4 these different working groups.

5 So, I do want to suggest that  
6 perhaps it be considered does it have to be  
7 two more just to have another four, or is  
8 there just one more that's really a priority?

9 I mean, there may be things where  
10 people can contribute more if we aren't having  
11 four to do at once. Just a thought.

12 MR. CROSBY: Do we all turn into a  
13 pumpkin in May? We're done or what? That's  
14 not a lot of time, really.

15 CO-CHAIR TRAMONT: I don't think  
16 our terms are up for another - correct me if  
17 I'm wrong. We have a two-year lifespan,  
18 right?

19 MS. WARREN: Yes.

20 MR. GATTUSO: The charter is up in  
21 about a year.

22 CO-CHAIR TRAMONT: Yes.

1 MR. GATTUSO: The appointments are  
2 up in two years.

3 CO-CHAIR TRAMONT: Yes. So, in May  
4 is just the next meeting.

5 (Simultaneous speaking.)

6 CO-CHAIR TRAMONT: These two new  
7 committees will always be reporting on their  
8 initial work at the May meeting. There will  
9 be no drafts, I mean, this is starting the new  
10 process.

11 So, what the goal is since a bunch  
12 of stuff should be completely done in May,  
13 this is the next pipeline. These are  
14 pipeline. I'm sorry.

15 MR. SALEMME: So, as someone who  
16 has actually seen the report that has been  
17 done by the Adjacent Band/Dynamic Spectrum  
18 Access Subcommittee both on enforcement and  
19 sharing, and I think that you would see that  
20 there probably is some activity that's already  
21 that would help that process.

22 We can either build off what is

1 done there or start fresh, which the committee  
2 can decide. Unlicensed seems to be the other  
3 area that isn't, you know, that probably  
4 should be addressed. So, that's just a  
5 recommendation that if there's a new one to be  
6 done, I would recommend unlicensed.

7 CO-CHAIR TRAMONT: Bob wanted to  
8 say something.

9 MR. GURSS: I just wanted to second  
10 what Gerry said. It sounds like we want to  
11 keep our powder dry until we get this other  
12 report. So, we don't want to create two new  
13 reports, two new things today, and then see  
14 that report and say hey, that - there is one  
15 or two other areas in that report that could  
16 use some more expansion upon, and then we're  
17 overburdened.

18 CO-CHAIR HATFIELD: Go ahead.

19 CO-CHAIR TRAMONT: Well, what I  
20 wondered is whether or not in an effort to --  
21 since the sharing request was sort of a  
22 specific one that someone tomorrow for all

1 practical purposes, could work with David,  
2 take that part out of his report and begin  
3 working with that as a separate draft. And  
4 then you would do the rest of the report, of  
5 you -

6 MR. DONOVAN: I think I'll be  
7 honest with you, I'd just rather just in terms  
8 of meeting the goal is keep it in, push it  
9 out.

10 And then if you want further - and  
11 then use it as the framework for further work.

12 CO-CHAIR TRAMONT: Commissioner  
13 Furchtgott-Roth, and then we'll go to you,  
14 Brian.

15 MR. FONTES: Thanks.

16 MR. FURCHTGOTT-ROTH: Simple  
17 thought. Secretary Strickling could simply -  
18 we're here to help. If he has some  
19 priorities, why don't we let him pick. If  
20 they're really important to him he should just  
21 tell us and we'll do it.

22 CO-CHAIR TRAMONT: I think that's

1 accurately characterized. NTIA has always  
2 been very open about the committee can select  
3 whichever course of direction, but it was  
4 flagged that sharing is something of  
5 particular interest and particular relevance  
6 right now. So, it was not any way, you know,  
7 we really want you to do sharing. It was this  
8 is something we're really focused on, it would  
9 be very helpful. So, I want to be clear about  
10 what was and was not requested.

11 Mr. Fontes.

12 MR. FONTES: Thank you, and I  
13 appreciated all the comments on the  
14 presentations that were made earlier today.  
15 With respect to relying on beyond just the  
16 initial report. I think there will be some  
17 areas, that would require, how should I say  
18 this, probably additional work/controversy or  
19 controversy and work.

20 And I think that in order to be  
21 effective in moving forward without spreading  
22 everybody too thin, I kind of agree with what

1 Jennifer said, I think that we need to figure  
2 out where these reports are going to lead us,  
3 address a few of those issues on a continuing  
4 basis. And then if Larry or others say okay,  
5 sharing is critically important, then let's  
6 focus on that perhaps as an area for future  
7 work so that we're not running parallel  
8 meetings here that may in fact be spilling  
9 over to work that's being done on the reports  
10 themselves.

11 CO-CHAIR HATFIELD: Thank you. I  
12 understand. I'm a little concerned that we  
13 use our time effectively. Would there be a  
14 possibility that we could be drafting for  
15 consideration a work statement and scope of  
16 work so that next time we would be ready to  
17 adopt it?

18 In other words, for example, in  
19 the sharing and that sort of - I'd hate to  
20 wait until everything is all done, then pick  
21 it up again, but that might be a way forward.

22 It would also give us a chance to

1 run it by NTIA to see if we've captured what  
2 they had in mind when they proposed - or  
3 Secretary Strickling suggested that we ought  
4 to be looking more - we probably want to look  
5 more at sharing.

6 MR. CROSBY: Mr. Chairman, would  
7 that be three? Would that be unlicensed,  
8 sharing and enforcement?

9 CO-CHAIR TRAMONT: I think that's  
10 actually sharing. I think we have a separate  
11 decision to make as a group, and I guess I'm  
12 taking Jennifer's entreaty to scale back our  
13 expectations slightly.

14 (Off the record comments.)

15 CO-CHAIR TRAMONT: We're going to  
16 do one more. Maybe one more makes sense and  
17 we can pick it could be unlicensed, it could  
18 be Kevin's discussion of data collection  
19 reporting, it could be the National Spectrum  
20 Plan, it could be radars, it could be harmful  
21 interference, could be receiver standards.  
22 Any of those. Pick one of them, and that

1 would be the -- that work group could go ahead  
2 and get launched now, basically.

3 MR. ROSSTON: My guess is that the  
4 Incentives Committee although it has - our new  
5 chairman will probably have incentives for  
6 unlicensed in the document would be a guess,  
7 and I think that's an appropriate place to  
8 think about unlicensed versus licensed  
9 incentives.

10 So, at least part of that will be  
11 included in the Incentives Committee, I think.

12 CO-CHAIR TRAMONT: And it does  
13 underscore again, that depending what topic we  
14 pick, some of it will be in the circulated  
15 scope of work -- the Chairman will circulate  
16 the scope of work and it will be -- we'll try  
17 to keep it within our on our lanes on various  
18 discussions.

19 MR. CROSBY: Don't let the good  
20 doctor force you to resign before you even  
21 start.

22 (Laughter.)

1 MR. PARTICIPANT: But it's a good  
2 point that there's almost necessarily overlay  
3 because incentives would be for sharing as  
4 well. And in sharing, you know, so that's the  
5 sharing thing, and sharing may be unlicensed  
6 or something else. We'll have to consider all  
7 that.

8 CO-CHAIR TRAMONT: So, in an effort  
9 to drive selection of the one additional  
10 subcommittee that we will form today, can we  
11 just do a rough show of hands for people who  
12 are for these following topics: So, receiver  
13 standards? Harmful interference? Radars?

14 MR. DONOVAN: We don't have that.

15 (Laughter.)

16 CO-CHAIR TRAMONT: Unlicensed  
17 policy. National Spectrum Plan. And then  
18 finally the data collection reporting, sort of  
19 Kevin's permutation on how we sort of keep a  
20 spectrum inventory current.

21 MR. CROSBY: Well, that one almost  
22 needs to be added to the spectrum inventory

1 thing.

2 MR. COOPER: Well, we'll have some  
3 comments on it.

4 MR. CROSBY: Exactly.

5 MR. COOPER: We're talking about  
6 having another subcommittee.

7 CO-CHAIR TRAMONT: Yes, that's what  
8 we're proposing here.

9 DR. KHAN: Maybe that they can add  
10 enough content, it depends on how deep you  
11 want to go, though.

12 CO-CHAIR TRAMONT: Folks on the  
13 phone, your preferences?

14 MR. FONTES: Well, I certainly  
15 think the unlicensed is going to be critically  
16 important. Certainly the inventory and  
17 keeping that dynamic is always going to be a  
18 challenge.

19 And what somebody said earlier  
20 today, that we'll be sitting in a room ten  
21 years from now or 20 years from now trying to  
22 update the spectrum use out there.

1 I can simply identify with that  
2 because I've been to quite a few of those over  
3 the years. So, I do think that trying to keep  
4 spectrum current, and the monitoring of it is  
5 -- keep spectrum use current is important as  
6 well.

7 CO-CHAIR TRAMONT: Okay. Anyone  
8 else?

9 MR. LEWIS: I'd probably go with  
10 unlicensed and National Spectrum Plan. Those  
11 are the two that are going to be issues we  
12 need to look at eventually.

13 CO-CHAIR TRAMONT: thanks, Jim.  
14 Any others on the phone?

15 Anyone taking us off mute to tell  
16 us what they thought?

17 All right. So, in light of that I  
18 think we have a rough consensus around the  
19 unlicensed approach or the unlicensed scope.

20 Now, if we could get a volunteer  
21 to chair that subcommittee, someone who has  
22 perhaps not served yet, that would be

1       terrific, and to draft the scope of work.

2                       So, do we have any volunteers for  
3 that or are we going to - Mr. Salemmme?

4       Excellent.   Terrific.

5                       So, Gerry will draft a scope of  
6 work and will also take volunteers to serve on  
7 his committee.   So, we'll circulate an e-mail,  
8 Joe, to get volunteers to serve with Gerry.  
9       And then draft a scope of work, get that  
10 around, and then you can go ahead and start  
11 working the committee with the idea of getting  
12 an interim report available for the May  
13 meeting.

14                      CO-CHAIR HATFIELD: Are you guys  
15 going to draft the statement of work on  
16 sharing? You talked about that being done  
17 also.

18                      CO-CHAIR TRAMONT: I think once we  
19 have David's draft - how did we say we're  
20 going to do this?

21                      We're going to see his draft, I  
22 think at least, and then we'll need a chair

1 for the sharing committee actually.

2 CO-CHAIR HATFIELD? Pick that up  
3 and extend it to a new committee with a new  
4 scope of work.

5 MS. WARREN: Can I make the  
6 suggestion that somebody could offer to do the  
7 statement of work without committing to be the  
8 chair of the committee. I mean, seriously  
9 just to get this going in the interim.

10 CO-CHAIR TRAMONT: Would someone  
11 like to -

12 MR. EPSTEIN: I will.

13 CO-CHAIR TRAMONT: Mr. Epstein.  
14 Excellent. So, Mr. Epstein will be in charge  
15 of drafting the scope of work, and we'll be in  
16 charge of drafting him to be committee chair.

17 (Laughter.)

18 CO-CHAIR TRAMONT: So, thank you on  
19 these subcommittee chairs. That's terrific.  
20 Okay. So with that, I think we have a path  
21 forward.

22 Everyone comfortable with where we

1 are? Anyone on the phone, any additional  
2 questions about that?

3 MR. FONTES: Nope - well, just a  
4 quick question. Joe will be circulating the  
5 new committees, new chairs so that we can know  
6 who to contact as well as volunteer?

7 CO-CHAIR TRAMONT: Yes, Joe's going  
8 to circulate a petition essentially for people  
9 to volunteer to serve on either of the two new  
10 subcommittees.

11 MR. FONTES: Great. Thank you.

12 CO-CHAIR TRAMONT: Absolutely.  
13 Okay. With that, we open it up for public  
14 comment on the work of the CSMAC.

15 Anyone have a public comment? If  
16 you can, identify yourself so everybody on the  
17 record and all that stuff.

18 MR. SNIDER: Can I just ask a  
19 question of you? It's Jim Snider, from  
20 iSolon. First, I want to applaud the  
21 committee for addressing the transparency  
22 issue, especially the transparency

1 subcommittee.

2 I worked on those quite a bit, and  
3 was interested in the whole topic of spectrum  
4 transparency in the early 2000s, it was Karl  
5 and Joe who I bothered quite bit with my  
6 questions will recall and perhaps some others  
7 in this room, it was a great time, and I think  
8 you guys really executed.

9 But I have two questions. Now I'm  
10 fairly active in the open government community  
11 in DC, and as you know the administration is  
12 pushing aggressively with their open  
13 government directive. One of the areas that  
14 is being looked at is transparency of federal  
15 advisory committees like this one, in which  
16 there are a thousand of 40,000 individuals  
17 like you.

18 And one of the questions that has  
19 come up, not perhaps one of the most important  
20 questions compared to webcasting and things  
21 like that, is to make accessible the  
22 applications, the statement of credentials of

1 people that apply to these bodies, and I  
2 haven't found an argument why they shouldn't  
3 be public.

4 Most of this information is  
5 already generally available on the web, so I  
6 would be curious if anybody, doesn't have to  
7 be now, maybe after, if there are any public  
8 interest objections to making the applications  
9 for federal advisory committee members public?

10 Most of this stuff again is  
11 readily on the web. Why shouldn't this be  
12 made public as part of an effort to open up  
13 federal advisory. So, that's a question.

14 And then another question, which  
15 might be a little bit more peripheral on the  
16 transparency issue, but I think this is  
17 important, is no one says that federal  
18 advisory committees are academic institutions  
19 and would follow standards of academic  
20 integrity.

21 But to put out a hypothetical  
22 example, if in one of your papers you were

1 citing somebody prominently, okay, quite  
2 purposefully had engaged in substantial  
3 plagiarism. Now, very well written, useful  
4 information.

5 Would that be a concern of this  
6 body not because it's not an academic  
7 institution. Why would it care, you wouldn't  
8 want to check into such a thing, but are  
9 academics standards of integrity appropriate  
10 for a federal advisory body such as this one?

11 So, if you have any thoughts  
12 afterwards, please let me know. And I'm  
13 expecting legislation opening up the FACA even  
14 within the next few weeks to be introduced,  
15 and so a lot of the questions as to what might  
16 go into that legislation.

17 CO-CHAIR TRAMONT: I appreciate  
18 your comments and consider those topics going  
19 forward and take them into advisement. Thank  
20 you.

21 Other comments? Prudence?

22 MS. PARKS: Yes. My name is

1 Prudence Parks, and I'm with the Utilities  
2 Telecom Council. Just so that you're aware,  
3 the Utilities Telecom Council, UTC, is an  
4 association of energy utilities and pipelines.

5 My comments go to the spectrum  
6 inventory and the report. We certainly  
7 understand - our members have expressed some  
8 concern about the inventory, and we certainly  
9 understand the reason behind the inventory,  
10 but we feel as if it's one thing to gather  
11 information and create a database that is  
12 going to become a basis or to inform the  
13 spectrum management allocation process, and  
14 it's quite another to provide information on  
15 the granular level as to what purposes and  
16 functions and missions that that spectrum  
17 serves especially when it relates to critical  
18 and infrastructure functions such as the  
19 supply of electricity and clean water in the  
20 United States.

21 We understand a lot of this  
22 information is on the ULS, however when you

1 take all of this information and coordinate it  
2 and make it publicly accessible on a website,  
3 what you're doing is putting a neat little bow  
4 on all of this information that is publicly  
5 accessible at the stroke of a key for those  
6 who wish to do us harm.

7 And I'm referencing specifically  
8 those stated networks that have been subject,  
9 CNN reports, the recent one that was on - a  
10 recent CNN report on cyber shock. The Cyber  
11 Shockwave I believe it was called, where you  
12 could take down all of the electric grid and  
13 put the entire nation at risk because of the  
14 infiltration of these networks.

15 There are two issues here. And  
16 one of them that we are most concerned about  
17 is the security of the information. Most of  
18 our licensees are FCC licensees. However with  
19 the introduction of smart grid you're going to  
20 have an interconnected system.

21 So, all of the information,  
22 whether it's NTIA or FCC, we're all going to

1 be connected, the vulnerability of one is the  
2 vulnerability of all.

3 So, I'm not sure whether the  
4 report on the spectrum inventory is going to  
5 address those issues in particular, but it is  
6 of great concern to our members.

7 And to wrap up, this is a classic  
8 - it seems like a classic case of one hand  
9 doing what the other - one hand not knowing  
10 what the other hand is doing. And that is  
11 spectrum policy issues are being done to use  
12 common, the town's nomenclature right now,  
13 stovepiping spectrum policy issues and  
14 security issues.

15 Congress is very concerned about  
16 cyber security and the electric grade, and on  
17 the other hand they want to have open access  
18 to all the spectrum information all the way  
19 down to what we use it for.

20 So, we are very concerned about  
21 that and just want to bring that to your  
22 attention.

1 CO-CHAIR TRAMONT: Of course we  
2 welcome submission of comments or other  
3 documentation or comments on the draft  
4 reports, so thank you.

5 Other public comments? Great.  
6 Hearing done. We are going to be working,  
7 Joe, with Larry to figure out some dates for  
8 in May. I don't think we have those dates  
9 yet; is that correct?

10 MR. GATTUSO: Well, I did do a  
11 check of Larry's calendar for mid-May. The  
12 week of the 17th.

13 CO-CHAIR TRAMONT: Calendars out,  
14 BlackBerrys out, everyone.

15 So, we're looking at the week of  
16 the 17th?

17 MR. GATTUSO: That was just in  
18 terms of a broad request from the secretary  
19 saying what would be a good week for Larry  
20 Strickling.

21 And she gave me 17th, 18th, 19th  
22 to the 21st. So, she didn't tell me what was

1 pending before or after, but that was the  
2 recommendation.

3 CO-CHAIR TRAMONT: Okay. I would  
4 modestly, and not for any particular reason,  
5 propose Wednesday, the 19th.

6 MR. CROSBY: We'll be recovering  
7 from the APCO policy dinner banquet the night  
8 before, but -

9 CO-CHAIR TRAMONT: It's always a  
10 hard one.

11 (Laughter.)

12 CO-CHAIR TRAMONT: How do people  
13 feel about Wednesday, the 19th?

14 MS. WARREN: Looks good.

15 CO-CHAIR TRAMONT: Okay. We're  
16 going to tentatively put that as our date  
17 subject to the secretary's calendar.

18 Anything else? Excellent. Thank  
19 you very much.

20 (The meeting was adjourned at  
21 12:05 p.m.)

22

<b>A</b>				
<b>AAG</b> 73:17	<b>achieve</b> 151:15	124:8 161:4	73:5 77:22 78:3	<b>allocation</b> 68:17
<b>ability</b> 28:6 34:5	<b>acknowledges</b> 26:6	<b>addressing</b> 172:21	78:13 80:10 81:11	69:3 109:11
107:9,11 123:17	<b>acronym</b> 12:4	<b>adds</b> 142:8	128:19	112:11 176:13
<b>able</b> 40:18 71:10	<b>act</b> 13:14,19 47:1	<b>adequate</b> 34:20	<b>agency</b> 51:17 63:12	<b>allocations</b> 26:8
77:6,10 80:14	<b>acted</b> 122:4	<b>adjacent</b> 3:24 9:21	67:17 74:6 78:7	28:11 57:10
103:21 122:19	<b>action</b> 24:3 101:2	139:5 141:19	127:1 154:19	124:15 141:6
125:4 142:21,21	<b>actionable</b> 122:1	151:9 160:17	<b>agenda</b> 46:5 65:4	<b>allotments</b> 141:6
<b>abroad</b> 15:7	122:12	<b>Adjourn</b> 4:19	78:18	<b>allow</b> 17:15 56:9
<b>absolute</b> 88:6	<b>actions</b> 10:4 31:19	<b>adjourned</b> 180:20	<b>agents</b> 77:6	73:12
<b>Absolutely</b> 95:16	32:20	<b>adjust</b> 17:16	<b>aggregate</b> 95:13	<b>allowed</b> 97:20
145:5 146:6	<b>active</b> 8:10 55:5,7	<b>administration</b>	<b>aggressively</b> 45:1	<b>allowing</b> 41:19
172:12	64:17 86:15 159:3	3:13 32:12,22	173:12	<b>allows</b> 151:7,8
<b>abundance</b> 30:17	173:10	126:8 128:9	<b>agile</b> 141:7	<b>alter</b> 70:7
<b>academia</b> 15:18	<b>activities</b> 34:22	173:11	<b>ago</b> 11:21,22 18:7	<b>amazed</b> 80:21
<b>academic</b> 174:18	50:10 53:7 55:13	<b>Administrator</b>	21:16 42:14 48:19	<b>amazingly</b> 98:6
174:19 175:6	55:17 57:2 60:17	3:11	49:15 53:6	<b>ambulances</b> 17:19
<b>academics</b> 175:9	60:18 62:5 81:7	<b>admirable</b> 33:13	<b>agree</b> 33:14 35:4	<b>America</b> 6:9 17:3,5
<b>accepted</b> 64:2	97:13	<b>admit</b> 23:7 126:14	91:19 105:13	25:17 29:15
<b>access</b> 3:25 9:2,4	<b>activity</b> 13:10 48:5	<b>adopt</b> 34:17 85:2	121:22 134:3	<b>American</b> 13:22
9:22 19:3,10 29:2	50:3 52:1 54:3	145:8 164:17	154:2 155:5	22:3
29:6 30:16 36:14	57:13 60:20 71:9	<b>adoption</b> 13:17	163:22	<b>Americans</b> 22:7
43:2 79:6 82:16	71:21 74:16	139:10 144:21	<b>agreed</b> 106:1	<b>amount</b> 14:21 34:3
97:20,21 98:4	100:12,18 160:20	<b>advance</b> 29:18	146:10	70:18 75:6 98:10
101:20 128:19,20	<b>actual</b> 15:12 60:2	145:20	<b>agreeing</b> 105:13	129:20 133:20
139:5 156:11	64:21 88:14 92:22	<b>advanced</b> 22:4	<b>agreement</b> 55:21	<b>amounts</b> 78:7
160:18 178:17	132:8,14 152:5	36:14	56:8,18	<b>analogy</b> 140:4
<b>accessible</b> 173:21	<b>Act's</b> 13:6	<b>advancing</b> 87:21	<b>Agriculture</b> 54:15	<b>analyses</b> 23:15
177:2,5	<b>ad</b> 51:2 61:22	<b>advantage</b> 41:6	<b>ahead</b> 19:9 46:11	<b>analysis</b> 35:14
<b>accommodate</b>	<b>Adaptrum</b> 6:17	<b>advice</b> 9:17 10:10	66:8 76:3 84:13	63:21 75:11 90:14
59:15	<b>add</b> 12:3 24:16	12:9 48:9,10,11	86:8 155:14	90:21
<b>accommodating</b>	41:17 76:11 146:3	<b>advise</b> 127:5	161:18 166:1	<b>analytical</b> 61:6
24:2 88:1	168:9	<b>advisement</b> 175:19	170:10	<b>analyze</b> 49:6 127:5
<b>accomplish</b> 34:1	<b>added</b> 167:22	<b>advisory</b> 1:4,12 5:5	<b>air</b> 23:2 53:11	<b>analyzed</b> 14:19
86:6	<b>adding</b> 22:22 24:17	8:1 46:21 48:6,15	71:14 112:7	<b>analyzer</b> 99:3
<b>accomplished</b>	<b>addition</b> 149:11	49:17 173:15	113:22 125:12	<b>analyzers</b> 127:11
157:20	<b>additional</b> 37:21	174:9,13,18	<b>airborne</b> 81:6	<b>analyzing</b> 64:8
<b>account</b> 26:17	70:18 85:21 96:20	175:10	<b>Aircard</b> 20:22 22:4	125:17
<b>accountability</b>	140:8 150:5 158:6	<b>affect</b> 14:12 99:20	<b>aircraft</b> 71:16	<b>Anna</b> 3:5 5:14 7:15
128:13	163:18 167:9	<b>afford</b> 21:19	<b>airing</b> 106:8	11:15 43:21 86:3
<b>accounts</b> 12:22	172:1	<b>affordability</b> 9:13	<b>airplane</b> 77:7,9	149:12 151:12
<b>accurate</b> 93:20	<b>additive</b> 18:11	<b>afternoon</b> 122:18	<b>airport</b> 71:15	156:17
98:7 113:7 134:22	<b>address</b> 13:21	<b>agencies</b> 51:15,18	<b>AI</b> 39:13	<b>announced</b> 30:4
<b>accurately</b> 120:14	40:19 46:6 90:9	51:21 52:17 53:4	<b>alchemical</b> 29:2	<b>anonymous</b> 97:22
127:2 163:1	108:2 109:6	53:22 54:12 60:6	<b>alike</b> 127:1 128:18	<b>answer</b> 14:4 22:18
<b>accused</b> 49:3	124:13 137:21	60:19 62:22 63:5	<b>allocate</b> 29:18	<b>answers</b> 119:15
<b>achievable</b> 135:5	156:1 164:3 178:5	64:11,14 65:5,12	<b>allocated</b> 65:12	<b>antenna</b> 23:3 146:5
	<b>addressed</b> 45:10	66:3,16 69:15	123:6 138:12	<b>anticipated</b> 124:9

<b>antithesis</b> 42:13	161:3 164:6	<b>assumption</b> 35:14	94:4	<b>banquet</b> 180:7
<b>anxious</b> 47:9	<b>areas</b> 32:9 75:19	<b>assure</b> 126:3	<b>back</b> 10:13 43:20	<b>barely</b> 113:21
<b>anxiously</b> 11:12	76:18 127:10	<b>assured</b> 30:17	50:8 52:7,12	<b>Barker</b> 6:11 87:3
<b>anybody</b> 7:14	161:15 163:17	<b>ate</b> 12:18	56:10 57:22 58:8	<b>base</b> 75:20
52:18 89:20	173:13	<b>Atlanta</b> 71:15	62:2 66:12 70:1,5	<b>baseball</b> 126:20
108:17 138:3	<b>argue</b> 92:1 111:9	<b>Attachment</b> 88:12	70:12 73:12 74:18	<b>based</b> 63:10 72:5
151:11 174:6	<b>argument</b> 174:2	88:22 92:12	74:22 78:14 82:12	75:19 76:19 77:1
<b>anyway</b> 48:5 49:9	<b>arises</b> 120:18	<b>attempt</b> 128:22	82:21 83:10 84:7	132:13
106:7	<b>Army</b> 53:10	<b>attempting</b> 125:2	102:8 112:21	<b>basic</b> 143:16
<b>APCO</b> 5:21 180:7	<b>articulate</b> 140:1	126:10	121:20 122:11	<b>basically</b> 18:6
<b>apologize</b> 91:12	<b>articulated</b> 140:2	<b>attention</b> 76:4	147:4 165:12	63:13 66:17,17
112:17	<b>artificially</b> 126:5,6	178:22	<b>backbone</b> 96:14	104:12 110:13
<b>apparent</b> 8:18	<b>ascent</b> 18:16	<b>AT&amp;T</b> 20:5 34:15	<b>backdrop</b> 25:13	166:2
<b>apparently</b> 43:1	<b>aside</b> 70:8 92:4	<b>auction</b> 27:14,20	<b>backgrounds</b> 15:17	<b>basis</b> 42:22 65:3
<b>appendix</b> 93:6,10	103:3	28:8,10,12 44:18	<b>backing</b> 132:20	71:16 73:8 94:10
94:4 104:2 105:11	<b>asked</b> 84:21 130:22	135:3	<b>bad</b> 51:9 82:7	113:6 114:4,17
106:18	<b>asking</b> 70:18 79:16	<b>auctioned</b> 140:10	<b>badges</b> 153:20	132:19 141:22
<b>applaud</b> 172:20	157:9	<b>auctions</b> 134:11	<b>baked</b> 35:13	152:18,22 164:4
<b>applicant</b> 82:14,21	<b>aspect</b> 63:10	<b>authority</b> 31:20	<b>Baker</b> 16:12	176:12
<b>applications</b> 18:3	<b>aspects</b> 39:21 51:10	37:4,5 56:16,19	<b>Baker's</b> 16:15	<b>basket</b> 36:11
67:11 71:6 83:16	61:14 151:21	77:1	<b>balance</b> 45:8	156:10
173:22 174:8	<b>aspirations</b> 13:15	<b>authorization</b>	108:12	<b>batteries</b> 21:21
<b>applied</b> 40:19	<b>assigned</b> 82:16	64:16 78:2	<b>balanced</b> 37:12	<b>BBG</b> 52:18 54:2
<b>applies</b> 27:9 65:8	138:13	<b>authorized</b> 92:13	<b>ball</b> 32:13	<b>beachfront</b> 9:11
65:14 83:1	<b>assigning</b> 65:1	<b>availability</b> 9:12	<b>band</b> 9:21 28:20	34:3 40:11
<b>apply</b> 174:1	<b>assignment</b> 13:6	<b>available</b> 25:21	30:10,13 41:10	<b>beam</b> 40:14
<b>appointments</b>	61:20 64:20 65:13	79:1,3 84:20 93:5	42:22 65:11,11,19	<b>beamforming</b> 23:4
160:1	66:6 68:12 69:10	97:17 105:20	67:12 70:10 73:21	<b>beams</b> 40:13
<b>appreciate</b> 45:19	72:14,15 73:17,18	153:3 170:12	81:4,7 90:17	<b>bear</b> 135:8
175:17	74:6,8 75:9 76:18	174:5	95:13 100:13	<b>beat</b> 154:22
<b>appreciated</b> 163:13	76:19,21 77:15,20	<b>Avenue</b> 1:13	104:4 106:13	<b>becoming</b> 140:8
<b>approach</b> 25:3 35:9	78:1,8,9 112:4	<b>average</b> 20:15,19	<b>bands</b> 26:13,14,16	<b>bed</b> 29:13
68:15 76:17 89:14	<b>assignments</b> 67:18	20:22 21:12	26:19,20,22 29:3	<b>beg</b> 82:10
119:12 130:7	69:4 70:1,20 74:5	<b>Aviation</b> 73:17	42:3,6 44:20,20	<b>began</b> 81:3 103:5
140:16 169:19	74:14 75:10 76:9	<b>aviation-oriented</b>	44:20 63:22 70:22	<b>beginning</b> 10:7
<b>approached</b> 158:11	109:8 124:15	67:13	73:16,19 74:1	37:19 102:12,16
<b>approaches</b> 26:7	134:13	<b>avoidance</b> 151:4	81:15,22 83:2	130:13,19 147:19
29:11 152:10	<b>assistant</b> 3:5 7:16	<b>avoiding</b> 141:9	100:10 103:2	<b>begins</b> 56:22 95:10
<b>appropriate</b> 32:13	7:19 8:2 10:17	<b>awaiting</b> 11:12	104:13 106:16,18	<b>begun</b> 17:9
166:7 175:9	34:2 155:20	<b>aware</b> 176:2	109:1,2,8 141:5	<b>behalf</b> 12:13 68:1
<b>apps</b> 17:15 18:1,9	<b>Associate</b> 3:11	<b>AWS</b> 27:1	154:8 155:3	<b>beholder</b> 63:4
22:17	<b>association</b> 5:17	<b>A-11</b> 62:20 63:11	<b>band-by-band</b>	<b>behoove</b> 114:6
<b>April</b> 117:14,14	7:10 176:4	<b>a.m</b> 1:14 5:2 84:10	41:21	<b>believe</b> 80:8 87:18
121:11 129:17	<b>assume</b> 90:19	84:11	<b>Band/Dynamic</b>	126:5,16 139:18
<b>area</b> 74:7,17 75:7	115:10 117:8	<hr/>	3:24 139:5 160:17	150:11 177:11
76:10,12 92:21,21	153:17	<b>B</b>	<b>bank</b> 12:22	<b>benefit</b> 106:18
94:13 142:6 158:4	<b>assuming</b> 23:16	<hr/>	<b>banking</b> 36:3	137:6
		<b>B</b> 88:12 93:6,10		

<b>benefits</b> 21:5 42:2 88:11,11 105:12	<b>boss</b> 79:5	28:6	73:16 93:8 136:17	<b>certain</b> 21:17 57:10 70:22 99:17 107:10 127:10 130:10
<b>best</b> 15:7 118:17 128:4 152:15	<b>bother</b> 75:14	<b>broadcasting</b> 52:19 52:21 54:3	<b>called</b> 80:12 94:5 177:11	<b>calls</b> 30:20 46:15
<b>better</b> 9:12,14 33:2 33:4 81:18 94:19 95:18 99:1 109:9 109:13 126:14,15 126:21 144:15	<b>bothered</b> 173:5	<b>broader</b> 19:2 27:3	<b>calling</b> 30:20 46:15	<b>calls</b> 87:4
<b>Betting</b> 25:1	<b>bottom</b> 23:15 69:7 79:19 139:16	<b>broadly</b> 17:21 113:9 156:1,2	<b>candidates</b> 26:15	<b>capabilities</b> 80:4 115:9 124:5
<b>beyond</b> 12:11 42:20 43:14 112:10 163:15	<b>boundaries</b> 131:14 140:6	<b>broke</b> 113:9	<b>capability</b> 99:1	<b>capacity</b> 20:1 22:19 23:1 24:16,19 30:18 33:19 34:6 36:16 37:18 38:12 64:18 88:10 94:15
<b>big</b> 13:21 22:12 100:1	<b>bounds</b> 135:14	<b>broken</b> 50:22 56:17 78:9 79:14,18	<b>capital</b> 24:11	<b>certification</b> 62:19 62:21 63:14 64:4 68:22 69:9 102:19
<b>bigger</b> 76:9	<b>bow</b> 177:3	<b>brought</b> 148:15	<b>capture</b> 97:2 109:19	<b>certified</b> 90:4
<b>biggest</b> 80:1	<b>box</b> 41:21	<b>Bryan</b> 1:14,17 3:3 6:10 8:7 10:14 12:1 46:19 83:13 146:18	<b>captured</b> 165:1	<b>chair</b> 52:14 57:5 169:21 170:22 171:8,16
<b>billion</b> 18:5	<b>boy</b> 118:20	<b>BTOP</b> 13:9	<b>car</b> 102:20 104:19	<b>chaired</b> 48:20 49:9
<b>bills</b> 132:4	<b>brainchildren</b> 18:9	<b>bubblegum</b> 21:21	<b>care</b> 100:2 133:8 155:4 175:7	<b>chairman</b> 12:13 14:3 16:22 17:2,7 19:18 25:14,18 26:13 27:2,12 29:4 30:4 48:2,22 118:19 139:14 165:6 166:5,15
<b>bit</b> 14:20 33:14 36:9 39:2 41:21 47:17 52:6 61:1 61:15 76:14 81:1 107:1 132:3 156:15 173:2,5 174:15	<b>branch</b> 49:21	<b>budget</b> 63:12 78:5	<b>career</b> 51:8	<b>chairman's</b> 27:7
<b>bigger</b> 76:9	<b>break</b> 3:15 41:20 46:11,12 56:22 84:6	<b>budgeting</b> 132:13 132:18	<b>carry</b> 54:6	<b>chairs</b> 62:8 73:20 84:21 171:19 172:5
<b>billions</b> 18:5	<b>Brian</b> 1:21 7:9 162:14	<b>build</b> 24:13 70:15 126:10 160:22	<b>carved</b> 24:10	<b>challenge</b> 51:13 80:2 168:18
<b>black</b> 81:2	<b>brief</b> 84:10 87:15 146:11	<b>building</b> 1:13 29:11 30:14 149:2	<b>case</b> 58:4,22 73:19 85:11 102:15 142:20 143:1 178:8	<b>challenges</b> 13:21 63:16
<b>BlackBerry</b> 13:1 22:15	<b>briefings</b> 50:21	<b>builds</b> 149:20	<b>cases</b> 32:2,4,11 50:2,12 51:20 58:5 66:5 77:14 83:5 106:12	<b>challenging</b> 29:3 71:9
<b>BlackBerrys</b> 179:14	<b>briefly</b> 33:17 56:14 115:6	<b>built</b> 14:19 45:18 58:2	<b>category</b> 17:15	<b>change</b> 29:8 53:1,4 56:7,10 79:21
<b>Blair</b> 23:9	<b>briefs</b> 60:7	<b>bullet</b> 93:9	<b>caveat</b> 110:20 111:4	<b>changed</b> 52:4,18
<b>bleed</b> 131:11	<b>bring</b> 16:9 23:21 147:5 178:21	<b>bunch</b> 15:16 124:3 160:11	<b>Cayman</b> 13:1 47:10	<b>changes</b> 26:15 44:12 57:11
<b>blessed</b> 86:14	<b>bringing</b> 27:22 81:21 132:18 153:20	<b>Bureau</b> 3:8 11:7	<b>cell</b> 23:5,6,17 35:18 74:21 75:5	
<b>blocks</b> 75:19	<b>brining</b> 71:16	<b>bus</b> 17:13	<b>cellular</b> 19:4 94:13	
<b>Bluetooth</b> 19:5	<b>broad</b> 13:16 179:18	<b>business</b> 15:17 80:9 155:4	<b>cellular-connected</b> 17:14	
<b>bluntly</b> 90:8	<b>broadband</b> 8:17,19 9:2,13 11:11 12:15,18 13:4,5 13:10,17,21 14:2 14:4,5,20 15:13 16:21 17:4,8 18:17 19:1,3,8,20 22:10,12,18 25:1 25:16,22 26:2,16 27:9,18 30:7,9 31:10 32:17 46:3 108:17 128:17 138:17 155:22	<b>buy</b> 91:16 134:15	<b>Center</b> 30:21	
<b>Board</b> 52:19,21	<b>boards</b> 131:14 12:15,18 13:4,5 13:10,17,21 14:2 14:4,5,20 15:13 16:21 17:4,8 18:17 19:1,3,8,20 22:10,12,18 25:1 25:16,22 26:2,16 27:9,18 30:7,9 31:10 32:17 46:3 108:17 128:17 138:17 155:22	<b>buying</b> 134:13	<b>centralized</b> 73:3,3	
<b>Boardroom</b> 1:13	<b>boards</b> 131:14 140:6	<b>Byron</b> 87:3	<b>centralizing</b> 73:13	
<b>Bob</b> 5:16,17,21 82:8 86:16 115:4 161:7	<b>boards</b> 131:14 140:6			
<b>bodies</b> 68:20 174:1	<b>boards</b> 131:14 140:6			
<b>body</b> 48:7,15 49:17 50:16 51:4 60:4 175:6,10	<b>boards</b> 131:14 140:6			
<b>bold</b> 87:10	<b>boards</b> 131:14 140:6			

<b>channel</b> 28:1 83:7 103:13 151:9 <b>channels</b> 74:7,10 74:17 77:11,13 82:15,22 141:19 <b>chaos</b> 128:6 <b>characteristics</b> 26:18 77:2 <b>characterization</b> 36:9 <b>characterize</b> 82:2 <b>characterized</b> 35:5 163:1 <b>charge</b> 120:12 171:14,16 <b>charter</b> 13:15 49:18 159:20 <b>chartered</b> 113:2 <b>chat</b> 62:10 <b>chatted</b> 148:12 <b>cheaper</b> 98:22 <b>check</b> 49:16 72:11 132:21 175:8 179:11 <b>checking</b> 92:22 94:21 105:15 <b>checks</b> 97:3 <b>Chief</b> 3:8 11:7 <b>choose</b> 157:5 <b>choosing</b> 129:9 <b>chronic</b> 17:18 <b>CIO's</b> 51:16 <b>Circular</b> 62:20 63:11 <b>circulate</b> 166:15 170:7 172:8 <b>circulated</b> 66:16 145:13 166:14 <b>circulating</b> 172:4 <b>Cisco</b> 20:9 33:15 <b>Cisco's</b> 24:4 <b>citing</b> 175:1 <b>citizen</b> 125:22 <b>City</b> 94:17 <b>clarification</b> 130:1 <b>clarify</b> 134:18 <b>classes</b> 18:20	<b>classic</b> 92:21 119:10 154:5 178:7,8 <b>clean</b> 135:3 176:19 <b>clear</b> 5:12 32:3 54:10 73:2 100:20 103:9,21 122:1,6 122:11 163:9 <b>clearly</b> 112:2 127:1 131:5 140:2 <b>Clearwire</b> 21:10 <b>clients</b> 76:10 <b>close</b> 75:11,21 128:16 <b>closed</b> 62:1 <b>closely</b> 26:9 131:10 <b>closer</b> 91:11 116:7 <b>CNN</b> 177:9,10 <b>Coast</b> 52:6 53:10 54:5 69:8,14 <b>code</b> 129:10 <b>cognitive</b> 141:6 <b>coherent</b> 15:11 <b>collaborative</b> 86:13 <b>collect</b> 100:16 <b>collection</b> 150:1 165:18 167:18 <b>collectively</b> 32:21 <b>collegial</b> 16:8 51:5 56:21 <b>combine</b> 42:2 <b>come</b> 12:10 17:11 45:20 50:13 51:16 55:8 58:8 59:11 67:2 70:1,5 73:12 74:18,21 84:7 112:21 115:11 120:9 173:19 <b>comes</b> 62:20 64:4 65:22 70:19 75:8 78:6 127:10 136:21 140:15 152:19 <b>comfortable</b> 171:22 <b>coming</b> 15:16 36:21 38:21 44:7	46:1,22 67:11 82:21 100:14 106:15 126:15 151:20 153:21 154:7 155:21 <b>Commander-in-...</b> 22:14 <b>commence</b> 31:21 <b>comment</b> 4:14 32:1 33:10 44:2 83:17 85:7,13 101:7 115:7 117:18 172:14,15 <b>comments</b> 6:7 12:5 14:19 41:8 44:4 46:17 54:16 55:18 56:10 59:5 78:21 89:5,8 108:4 116:16 117:19 134:4 138:7 146:1 163:13 165:14 168:3 175:18,21 176:5 179:2,3,5 <b>commerce</b> 1:1,3,12 3:5 5:5 7:17,22,22 48:18 <b>commercial</b> 9:15 9:16 22:13 30:12 30:16 44:9,14 46:2 52:16 123:4 137:10 <b>commission</b> 3:9 11:8,10 31:14 32:18 35:1 40:11 57:14 58:5 61:11 62:4 64:17 65:10 65:18 66:14 67:15 142:7 154:12,14 154:20 <b>Commissioner</b> 16:12,15 29:17 162:12 <b>commissioners</b> 16:9 <b>Commission's</b> 45:18 57:16 64:16 66:11 102:18	142:16 <b>commit</b> 70:10 <b>commitments</b> 8:8 <b>committed</b> 15:15 <b>committee</b> 1:4,6,12 5:6 8:1,9 43:12 46:21 57:4 64:9 84:21 85:5,13 87:13 101:9 105:8 106:9 113:2,13 114:11 116:2,8 119:2,8,9 120:11 120:18 121:3,7 130:6 132:16 148:7 161:1 163:2 166:4,11 170:7,11 171:1,3,8,16 172:21 174:9 <b>committees</b> 11:3 85:4,17 130:22 131:4 148:14,19 160:7 172:5 173:15 174:18 <b>committee's</b> 144:4 <b>committing</b> 171:7 <b>common</b> 178:12 <b>communicate</b> 107:12 <b>communicating</b> 81:12 <b>communication</b> 32:16 104:3 110:5 <b>communications</b> 3:5,9 5:18 7:17 11:8 60:15 139:22 <b>community</b> 43:8 173:10 <b>companies</b> 18:10 41:19 50:13 128:18 <b>company</b> 42:13 83:15 <b>compared</b> 173:20 <b>compatibility</b> 64:2 151:22 <b>compelling</b> 137:14 <b>competitive</b> 9:1	25:11 <b>competitor</b> 149:9 <b>complaints</b> 142:16 <b>complementarities</b> 42:5 <b>complementary</b> 19:7 <b>completely</b> 160:12 <b>Completion</b> 4:11 <b>complex</b> 140:8 <b>complexity</b> 142:9 <b>compliment</b> 83:22 84:1 99:17 <b>component</b> 80:6 105:1 <b>components</b> 154:17 <b>comprehensive</b> 13:12 30:5 31:8 31:10 130:14 <b>concept</b> 100:21 <b>concepts</b> 62:2 <b>concern</b> 44:11 175:5 176:8 178:6 <b>concerned</b> 41:2 76:2 131:22 164:12 177:16 178:15,20 <b>concerns</b> 58:9 78:21 96:18 122:22 <b>conclusion</b> 120:9 <b>conclusions</b> 88:8 <b>concreteness</b> 136:22 <b>condition</b> 91:15 <b>conditions</b> 17:18 <b>conduct</b> 49:4 <b>conducted</b> 15:3 20:14 <b>conference</b> 7:7 61:8 <b>conferences</b> 61:12 <b>confidence</b> 146:19 <b>conflict</b> 59:8 64:11 64:13 103:19 120:18 137:5 <b>confrontation</b>
--	---	--	---	--

114:1 <b>congested</b> 96:20 <b>congestion</b> 96:13 96:14 <b>Congress</b> 31:13 32:12 132:5 178:15 <b>connected</b> 178:1 <b>consensus</b> 51:5 93:17 116:10 119:18,19 126:11 147:2 169:18 <b>consider</b> 11:17 50:1 55:3 56:9 64:15 115:20 140:15 167:6 175:18 <b>consideration</b> 164:15 <b>considered</b> 49:21 159:6 <b>consistent</b> 15:11 133:13 <b>consistently</b> 58:18 70:14 <b>constantly</b> 150:2 <b>Constitution</b> 1:13 <b>constructive</b> 151:3 <b>consultant</b> 16:5,6 <b>consultants</b> 16:1 <b>consulted</b> 23:12 <b>consumer</b> 15:4 20:15 21:1 139:22 <b>consumes</b> 20:16,19 21:2 <b>consumption</b> 17:16 140:20 <b>contact</b> 59:13 62:8 172:6 <b>contained</b> 88:22 <b>contemplate</b> 119:8 <b>contemporaneous</b> 114:9 <b>content</b> 96:3 111:18 168:10 <b>contentious</b> 146:21 <b>contents</b> 84:22	<b>context</b> 18:15 21:16 54:2 102:9 120:2 135:3 155:19 <b>contiguous</b> 75:6 <b>continually</b> 48:16 114:9 <b>continue</b> 10:8,8 51:2 106:8 127:8 <b>continuing</b> 94:10 113:6 114:4,17 164:3 <b>contribute</b> 35:9 159:10 <b>contributed</b> 143:20 143:21,22 <b>contribution</b> 9:1 <b>contributions</b> 122:19 <b>control</b> 60:5 63:17 71:14 103:13 127:3 <b>controversy</b> 163:19 <b>Cont'd</b> 2:8 4:3 <b>convene</b> 80:14 <b>conventional</b> 19:17 35:15 <b>Cooper</b> 1:18 6:5,5 33:9,12 86:17 90:8,22 91:4 94:7 95:16 101:6 114:21 146:2 153:3 154:3 155:15 168:2,5 <b>cooperative</b> 156:7 <b>coordinate</b> 177:1 <b>coordinated</b> 68:6 <b>coordination</b> 31:1 60:12 <b>Copps</b> 29:17 <b>copy</b> 118:5,6,8 138:6 <b>cord</b> 22:7 <b>correct</b> 38:6 63:22 67:7 69:1 159:16 179:9 <b>correctly</b> 79:17	111:20 <b>cost</b> 24:12,13,13 30:13 <b>Council</b> 176:2,3 <b>count</b> 72:20 122:8 122:9 <b>country</b> 88:2 103:7 123:18 129:10 138:17 <b>couple</b> 44:18 53:2 56:14 58:8 88:17 157:2 <b>course</b> 7:16 8:15 11:1,6,11 18:11 26:16 59:8 87:17 119:16 135:14 136:8 163:3 179:1 <b>court</b> 142:21 <b>courtroom</b> 49:5 <b>cover</b> 47:13 <b>coverage</b> 98:6 <b>covered</b> 54:11 76:18 150:18 <b>covering</b> 152:13 <b>coveted</b> 21:18 <b>co-chair</b> 1:17,17 5:3,19 6:10,11 7:3 7:11,14 10:15,19 33:7 37:16 38:19 40:7 42:16 43:22 45:14 49:12 53:9 55:10 59:16,20 68:2,7 73:1,11 76:1 78:11 79:8 82:4 84:4,12 87:9 89:8 91:10 92:6 92:20 95:7,20 96:16 99:7,12 102:5 105:2 106:20 109:15 111:15 112:19 114:18 115:4,21 116:19 117:2,6,10 117:13,16 118:10 118:14,16,20 119:5,14 120:7,19 121:1,5,9,18	122:13 129:14 130:16 133:6 134:2 135:2 137:7 137:13 138:3,19 144:3,17 145:10 145:22 146:7 147:12,18,21 148:2,6 150:13 151:10 153:7 155:9,13 156:12 156:21 157:8,14 157:19,22 158:8 159:15,22 160:3,6 161:7,18,19 162:12,22 164:11 165:9,15 166:12 167:8,16 168:7,12 169:7,13 170:14 170:18 171:2,10 171:13,18 172:7 172:12 175:17 179:1,13 180:3,9 180:12,15 <b>co-chairs</b> 1:14 3:4 8:6 10:13 <b>co-channel</b> 151:8 <b>co-primary</b> 128:14 <b>Craig</b> 41:9 <b>create</b> 37:6 40:4 85:20 100:2 120:13 148:14 161:12 176:11 <b>created</b> 18:2 49:13 52:4 67:9 80:11 148:8 <b>creating</b> 18:19 39:22 144:13 <b>creation</b> 31:2 <b>credentials</b> 173:22 <b>credible</b> 153:14 <b>creep</b> 131:7,11 152:12 <b>criteria</b> 53:9,15 <b>critical</b> 63:2 80:8 107:13 155:1 176:17 <b>critically</b> 110:6	164:5 168:15 <b>Crosby</b> 1:19 3:18 6:14,14 86:11 87:1,10 89:20 90:1,7 104:2 109:22 116:18,22 117:4,7,11,15 118:7,15 152:11 153:10 154:22 159:12 165:6 166:19 167:21 168:4 180:6 <b>CSIS</b> 7:13 <b>CSMAC</b> 1:14 3:3 5:7 12:2 125:22 146:21 147:1 172:14 <b>culling</b> 85:22 <b>cup</b> 47:19 <b>curious</b> 38:9 174:6 <b>current</b> 61:22 128:8 150:3 152:22 167:20 169:4,5 <b>currently</b> 54:12 <b>customers</b> 21:11 <b>cut</b> 58:7 82:7 127:16,18 128:2 <b>cutters</b> 22:7 <b>cutting</b> 21:17 <b>cyber</b> 177:10,10 178:16 <b>C-O-N-T-E-N-T-S</b> 3:1 4:3
<b>D</b>				
<b>daily</b> 65:4 74:16 78:18 <b>Dale</b> 1:14,17 3:3 8:6 10:13 11:14 12:1 22:20 46:19 93:8 95:18 146:19 148:12 <b>dance</b> 48:4 <b>Darrin</b> 2:14 3:21 6:17 86:17 122:14 <b>Darrin's</b> 129:18				

139:3	<b>decide</b> 28:7 53:12 161:2	<b>deployments</b> 23:6 30:13 35:18,18	112:22 121:12 133:17 134:8	<b>divided</b> 105:9
<b>data</b> 64:7 67:6 70:21 80:4 91:21 104:9 114:17 150:1 165:18 167:18	<b>decided</b> 156:16	<b>Deputy</b> 3:5,8 7:16 7:19 10:17 11:7	136:15,17 139:7 143:11 152:1 159:4	<b>division</b> 106:3
<b>database</b> 67:8 78:1 78:9,22 79:1 93:5 113:5 115:15 134:12,16 135:1 150:2,3 176:11	<b>decision</b> 56:6 58:2 165:11	<b>described</b> 17:7,12 25:15,15 27:13 82:14 151:14	<b>differing</b> 120:21	<b>document</b> 58:13 87:6,18 111:21 119:18 120:13 122:21 124:14 126:1 144:1 166:6
<b>databases</b> 29:5 98:3 141:8	<b>decisions</b> 56:3,4,20 57:3 73:7 103:12 110:4 111:12	<b>describing</b> 115:9	<b>difficult</b> 100:11 102:4 123:15 128:10 142:6,19	<b>documentation</b> 49:22 50:2 55:2 179:3
<b>date</b> 59:21 113:7 114:13 130:10 180:16	<b>decision-making</b> 103:18 110:16	<b>description</b> 104:3	<b>dig</b> 158:5	<b>documents</b> 56:13 112:1,17 120:3 121:3
<b>dates</b> 179:7,8	<b>deep</b> 168:10	<b>designated</b> 75:7	<b>digest</b> 145:7	<b>DoD</b> 73:20 103:5
<b>Dave's</b> 93:15	<b>deeply</b> 158:5	<b>designed</b> 13:9	<b>dinner</b> 180:7	<b>dog</b> 12:18
<b>David</b> 1:19 3:24 89:10,21 90:9 139:8 143:19 144:4 146:2,8 149:3 151:14 162:1	<b>Defense</b> 53:18	<b>detail</b> 14:10 61:1 61:21 67:6 152:16	<b>Diplomatic</b> 1:13	<b>doing</b> 37:3 75:10 94:21 95:1 97:12 99:2 107:4,6 116:17 134:11 138:22 153:14,21 156:18,20 177:3 178:9,10
<b>David's</b> 96:17 170:19	<b>define</b> 8:11 10:8 131:12 147:16	<b>detailed</b> 14:19 95:21	<b>direction</b> 43:4,17 163:3	<b>dollars</b> 18:6
<b>Davison</b> 57:5	<b>defined</b> 148:7 158:13	<b>details</b> 14:10 17:1 39:13 44:8	<b>directive</b> 173:13	<b>domestic</b> 9:6
<b>day</b> 67:2 94:18	<b>defining</b> 149:1	<b>detect</b> 135:17	<b>directly</b> 61:17	<b>Donovan</b> 1:19 3:24 68:10 69:1,7,12 69:18 70:3 72:4 72:10 82:8 89:11 89:22 90:6,11 91:3,14 92:8,14 92:18 118:18,22 119:6 120:2,17,20 121:4,8,17 139:4 139:12,13 145:5 145:18 146:6 150:17,20 151:2,6 152:13,20 154:1,4 155:5 162:6 167:14
<b>days</b> 18:18 56:9 57:21 58:9 59:1 65:8,14	<b>definition</b> 63:3 123:10,11	<b>determining</b> 95:18	<b>disagreed</b> 105:22	<b>door</b> 91:17 103:10 103:14,15
<b>DC</b> 173:11	<b>develop</b> 30:8 37:9 61:5 70:9 72:6 123:11 130:13 140:11	<b>develop</b> 30:8 37:9 61:5 70:9 72:6 123:11 130:13 140:11	<b>disagreements</b> 119:3,7	<b>doors</b> 102:21
<b>dead</b> 155:1	<b>developed</b> 15:1 19:13	<b>developed</b> 15:1 19:13	<b>discourage</b> 100:6	<b>double</b> 72:10
<b>deadline</b> 12:17	<b>developing</b> 18:3 26:11 103:6	<b>developing</b> 18:3 26:11 103:6	<b>discouraged</b> 50:19	<b>dozens</b> 14:15
<b>deadlines</b> 58:15,16 59:11	<b>development</b> 9:3 14:1	<b>development</b> 9:3 14:1	<b>discouraging</b> 100:19	<b>DR</b> 7:2 97:6 112:20 115:3 135:6
<b>deal</b> 81:20 99:16 142:13	<b>device</b> 21:17 22:5 91:16 115:14	<b>device</b> 21:17 22:5 91:16 115:14	<b>discussions</b> 9:20 87:7 88:10,12 102:12 110:10 124:10 125:3,3,19 126:13 131:1 149:21 166:18	
<b>dealing</b> 60:14 77:17 83:5	<b>devices</b> 18:4,4 21:19 41:22 42:1 90:13,15,18 92:13 95:3 102:16 104:3 104:12 154:7	<b>devices</b> 18:4,4 21:19 41:22 42:1 90:13,15,18 92:13 95:3 102:16 104:3 104:12 154:7	<b>distinct</b> 131:1	
<b>deals</b> 57:7,9 64:21	<b>demand</b> 20:2 21:10 24:20 25:2,10 128:17 140:14	<b>devised</b> 140:7	<b>distinction</b> 131:18	
<b>dealt</b> 61:3 154:18	<b>demanding</b> 66:22	<b>DHS</b> 54:5,8	<b>distinguish</b> 100:11	
<b>debate</b> 95:22 104:21 122:11 138:1 141:14	<b>demonstrate</b> 82:15	<b>diabetes</b> 17:18	<b>distribute</b> 145:3	
<b>debates</b> 53:16	<b>dense</b> 23:6 35:18	<b>differ</b> 36:8	<b>distributes</b> 78:18	
<b>decentralized</b> 73:2	<b>density</b> 23:17	<b>difference</b> 120:10 130:6	<b>diversity</b> 15:17	
	<b>Department</b> 1:1 7:21 53:17	<b>differences</b> 56:16		
	<b>departments</b> 53:17	<b>different</b> 42:3,5 48:17 55:9,13 57:8,17 58:12 96:17 106:5 108:3		
	<b>Department's</b> 61:17			
	<b>depending</b> 143:13 166:13			
	<b>depends</b> 22:15 77:16 96:1 168:10			
	<b>deployed</b> 113:18			
	<b>deployment</b> 13:17 14:20 40:15 41:4			

137:12 168:9	156:5	<b>emerged</b> 149:12	<b>Epstein</b> 1:20 6:3,3	<b>evil</b> 49:2
<b>draft</b> 3:18 8:12	<b>Ed</b> 57:5	<b>emergency</b> 7:10	37:17 38:3,7 79:9	<b>evolve</b> 138:15
56:10 85:11 116:1	<b>edge</b> 21:17	17:19 30:20 60:13	86:16 93:6,12	<b>evolving</b> 150:2
116:3,8,11,12,16	<b>edges</b> 79:16	60:15	109:16 110:11	<b>EVP</b> 6:3
116:16 120:15	<b>edits</b> 116:10 129:17	<b>emerges</b> 119:19	133:7,10 156:13	<b>EWA</b> 6:14
129:16,18 135:9	<b>education</b> 14:1	121:10	157:7,9,18,21	<b>exactly</b> 93:8 110:17
139:9 145:12	124:9	<b>emerging</b> 17:4	158:7 171:12,13	114:22 168:4
147:13 162:3	<b>effective</b> 163:21	<b>emphasis</b> 144:6	171:14	<b>example</b> 27:1 53:10
170:1,5,9,15,19	<b>effectively</b> 164:13	<b>emphasize</b> 10:2	<b>equate</b> 111:12	94:12 97:16
170:21 179:3	<b>efficiencies</b> 35:17	<b>emphasizing</b> 135:8	<b>equation</b> 142:4	100:17 105:10
<b>drafted</b> 139:15	<b>efficiency</b> 9:7 23:18	<b>employ</b> 23:3	<b>equipment</b> 42:3	117:21 142:20
<b>drafting</b> 64:8	107:21 125:11	<b>empty</b> 89:4	69:9 90:5 153:17	164:18 174:22
121:11 164:14	127:6 141:12	<b>enable</b> 27:15 29:6	<b>ERIC</b> 30:20	<b>examples</b> 17:8,10
171:15,16	<b>efficient</b> 23:2 36:16	<b>enabled</b> 103:17	<b>ESF</b> 60:19	154:5
<b>drafts</b> 57:7,21	37:21 125:17	<b>encompass</b> 37:20	<b>especially</b> 12:21	<b>excellent</b> 116:3
84:19,22 85:2,6,8	156:10	118:2	25:10 35:22 44:13	119:15 170:4
85:10 160:9	<b>efficiently</b> 8:22	<b>encourage</b> 135:20	172:22 176:17	171:14 180:18
<b>dramatically</b> 21:13	141:16 144:13	149:16,17	<b>essence</b> 34:10	<b>exceptionally</b> 8:10
<b>drive</b> 85:13 137:7	<b>effort</b> 66:22 148:14	<b>encouraged</b> 14:8	140:5	<b>exchange</b> 15:7
145:14 147:14	161:20 167:8	<b>ended</b> 105:13	<b>essential</b> 27:6	<b>excited</b> 28:22
154:9 167:9	174:12	<b>energy</b> 8:8 13:22	<b>essentially</b> 57:19	<b>exciting</b> 32:14,19
<b>driving</b> 139:10	<b>efforts</b> 51:22 63:20	17:15 176:4	72:4 78:8 97:18	<b>exclusively</b> 26:3
<b>drop</b> 93:16	86:13	<b>enforceability</b>	114:1 140:18	<b>executed</b> 173:8
<b>dry</b> 161:11	<b>eggs</b> 36:10	142:13	154:8 172:8	<b>executive</b> 49:21
<b>due</b> 12:16 31:12	<b>eight</b> 94:3 117:3,4	<b>enforcement</b> 55:17	<b>establish</b> 142:12	80:13 87:16
96:13	<b>either</b> 68:11,14,17	150:12,21 153:10	<b>established</b> 50:7	<b>exempt</b> 135:14
<b>duties</b> 49:4	68:20 81:21 92:4	153:12 155:3	53:15	<b>exist</b> 97:5 123:22
<b>dynamic</b> 9:22 29:1	115:18 139:21	160:18 165:8	<b>establishes</b> 72:15	<b>existed</b> 48:16
73:7 101:20	141:18 160:22	<b>engaged</b> 175:2	<b>establishing</b> 60:18	<b>existence</b> 48:13
168:17	172:9	<b>engendered</b> 94:2	<b>establishment</b>	51:1
<b>dynamically</b> 29:6	<b>elaborate</b> 25:19	<b>enhancements</b> 31:4	30:19	<b>existing</b> 34:4 48:14
<b>D-block</b> 27:3	<b>electric</b> 177:12	<b>enormous</b> 98:2	<b>estimable</b> 39:13	67:3 70:15,16
<b>D.C</b> 1:14	178:16	129:20	<b>estimated</b> 18:5	85:17 105:21
	<b>electricity</b> 176:19	<b>ensure</b> 15:12 30:5	<b>estimates</b> 128:4	<b>exists</b> 94:8
<b>E</b>	<b>electronic</b> 65:3	30:21	<b>European</b> 44:17	<b>expanding</b> 9:12
<b>E</b> 1:19	124:4,5	<b>enterprises</b> 6:2	<b>evaluating</b> 127:7	33:18
<b>Eagle</b> 6:18	<b>electronically</b>	18:20	<b>event</b> 147:3	<b>expansion</b> 161:16
<b>earlier</b> 149:20	58:14 66:16 73:4	<b>entire</b> 25:2 177:13	<b>eventually</b> 128:13	<b>expect</b> 28:9 32:6
163:14 168:19	78:20	<b>entirety</b> 145:4	169:12	77:20 87:12
<b>early</b> 18:17 36:2	<b>element</b> 142:11	<b>entities</b> 68:16 99:20	<b>everybody</b> 5:10,11	<b>expectations</b>
173:4	<b>elements</b> 88:20	<b>entity</b> 37:1,2 72:5	50:5 78:19 83:2	165:13
<b>easy</b> 110:12 140:20	<b>eliminate</b> 128:3	154:20	84:12 104:20	<b>expecting</b> 175:13
<b>echo</b> 16:21	<b>eliminated</b> 53:6	<b>entreaty</b> 165:12	121:21 122:20	<b>expensive</b> 41:11
<b>economic</b> 6:1 13:10	<b>else's</b> 108:17	<b>entrepreneurs</b>	159:3 163:22	<b>experience</b> 91:5,7
<b>Economists</b> 24:9	<b>embed</b> 115:2	18:10	172:16	95:4,22 96:10
<b>economy</b> 18:1,2	<b>embrace</b> 22:9	<b>environment</b> 70:17	<b>everyone's</b> 16:19	97:2
<b>ecosystem</b> 19:2	<b>emerge</b> 119:17	<b>envisions</b> 30:15	<b>evidenced</b> 87:17	<b>expert</b> 9:16 79:20

<b>experts</b> 12:8 14:16	<b>falls</b> 83:15	<b>feedback</b> 37:14	<b>five-year</b> 69:22	<b>force</b> 53:11 122:21
<b>explained</b> 17:2	<b>familiar</b> 112:8	56:12 116:20	72:13 76:14 77:18	166:20
29:4	<b>far</b> 36:6 106:9	<b>feel</b> 18:19 54:11	132:15	<b>forecast</b> 20:10 24:4
<b>explaining</b> 38:13	158:11	62:9 79:11 157:10	<b>five-year-old</b>	<b>form</b> 131:3 145:9
112:14	<b>farm</b> 58:14	176:10 180:13	124:21	157:5 167:10
<b>explicitly</b> 93:8	<b>farther</b> 13:20	<b>feeling</b> 130:8	<b>fix</b> 45:8 154:15,15	<b>format</b> 10:21
<b>explore</b> 10:9 143:9	<b>farthest</b> 41:1	<b>fees</b> 78:4,7	<b>fixed</b> 76:20,22 81:8	<b>formed</b> 54:8
<b>explored</b> 151:17	<b>FAS</b> 67:16,22	<b>felt</b> 130:12 132:11	154:16	130:22
<b>expressed</b> 176:7	<b>fascinating</b> 135:4	<b>Fi</b> 100:17	<b>flagged</b> 163:4	<b>former</b> 16:5 114:21
<b>extend</b> 171:3	138:20	<b>field</b> 14:15	<b>fleet</b> 55:14	<b>forth</b> 5:12 52:12
<b>extent</b> 36:20 57:10	<b>fast</b> 24:20	<b>fields</b> 88:14,21	<b>flesh</b> 32:5	121:20 122:11
60:16 71:11 97:5	<b>faster</b> 45:1 59:14	<b>fighting</b> 41:12	<b>fleshed</b> 121:15	158:14
98:20 116:9 142:1	<b>father</b> 40:21	<b>figure</b> 35:13 97:8	<b>flexibility</b> 27:8 28:6	<b>fortress</b> 128:10
<b>external</b> 131:20	<b>favorite</b> 16:19	122:7 164:1 179:7	28:14 35:8 83:19	<b>fortunate</b> 11:18
<b>extraordinary</b> 8:8	<b>FBI</b> 77:6	<b>filed</b> 142:17	<b>flexible</b> 28:18	12:7
<b>extremely</b> 16:16	<b>FCC</b> 6:13 11:17	<b>files</b> 124:3,4	<b>flip</b> 21:17 100:9	<b>forward</b> 4:11 8:21
84:5 105:9	12:13 13:7,11	<b>fill</b> 17:1	<b>floor</b> 59:18 89:9	26:21 29:20 32:13
<b>eyes</b> 63:4	14:14 15:15 23:14	<b>final</b> 43:22 56:5	129:2,13	41:14 43:3,16
<b>e-mail</b> 22:15 86:19	25:4 28:12,22	85:3 87:11 116:6	<b>fly</b> 17:17 48:22	44:6,22 45:4
170:7	31:19,21 32:9,11	116:11 120:15	<b>fob</b> 112:6	58:10 62:4 80:3
	32:21 34:7 36:22	131:13 139:2,11	<b>fobs</b> 102:20 104:20	85:19 113:16
	38:15,18 39:5,10	<b>finally</b> 30:3,6 31:2	<b>focus</b> 13:20 16:11	115:19 119:21
	39:17 43:12 48:20	143:10 167:18	60:8 72:17 131:4	120:1 124:6
	48:22 49:8 52:14	<b>find</b> 63:7 137:1	132:7 164:6	126:21 138:7,18
	55:21 57:7,20	148:3	<b>focused</b> 38:8 57:14	141:1,8 163:21
	58:22 59:2 66:7	<b>finding</b> 110:7	163:8	164:21 171:21
	83:16 115:16	126:11	<b>FOIA</b> 135:14	175:19
	119:11 123:16	<b>fine</b> 110:3 133:21	<b>fold</b> 25:10	<b>forwarded</b> 62:3
	126:3,22 132:9	152:20	<b>folks</b> 15:16 51:7	<b>found</b> 50:12 146:16
	134:11,11 137:21	<b>finishes</b> 135:9	67:14 80:18	174:2
	177:18,22	<b>first</b> 17:20 23:7	126:13 127:4	<b>foundation</b> 6:9
	<b>feasible</b> 35:21	25:20 35:5 45:14	136:11 143:17	8:19 17:3
	<b>fed</b> 126:4	46:18 47:13 55:19	168:12	<b>four</b> 18:5 35:13,21
	<b>federal</b> 3:8 9:14,15	56:1 62:15 65:19	<b>follow</b> 10:21 39:16	64:10 84:17 85:17
	11:8 15:5 26:10	68:19,20 73:14	76:7 106:22 139:9	124:21 158:18
	46:9 48:15 49:7	76:5 79:9 86:11	153:19 174:19	159:7,11
	57:11 61:4 65:12	86:12 93:9 110:18	<b>following</b> 29:16	<b>fourth</b> 28:16
	67:17 68:16 69:14	123:10 124:7	32:8 77:8,8	142:10
	69:18 70:14 80:22	126:19 140:20	140:18 167:12	<b>frame</b> 38:11 132:15
	81:21 115:12	147:9 148:7 149:8	<b>follow-up</b> 69:13	<b>framed</b> 131:18
	123:5,19 128:19	172:20	<b>fond</b> 14:3	<b>frames</b> 44:10 45:2
	137:11 173:14	<b>fitting</b> 75:12,20	<b>Fontes</b> 1:21 7:9,9	<b>framework</b> 162:11
	174:9,13,17	<b>five</b> 42:14 58:18	162:15 163:11,12	<b>framing</b> 132:11
	175:10	76:3 82:22 104:9	168:14 172:3,11	<b>frankly</b> 150:21
	<b>federal/non-fede...</b>	125:16 129:7,8	<b>footnote</b> 93:16	155:6
	124:12	155:10	<b>footnotes</b> 16:2	<b>free</b> 62:9 66:8
	<b>feed</b> 55:11 153:4	<b>five-minute</b> 84:6	119:10	79:11

<b>frees</b> 28:1	<b>game</b> 126:20	28:5 43:19 74:20	36:1 41:2,3 43:15	61:4 65:1,13
<b>frequencies</b> 65:2	<b>gamut</b> 57:17	75:14,16 77:2	44:17 47:13 55:22	69:19 70:14 79:3
69:19	<b>garage</b> 91:17	82:12 85:12 94:12	58:7,22 60:8 61:5	79:13,20 80:22
<b>frequency</b> 40:13	102:21 103:9	108:9 109:13	66:20 67:7 71:16	97:11 100:3 101:2
61:19 64:20 68:12	<b>Gartner</b> 18:1	114:16 117:9,11	71:17,20 74:9	101:21 135:12
68:18 69:10,22	<b>Gary</b> 1:20 6:3	122:22 164:22	75:15 76:7 79:4	136:2,7,19 137:11
75:9 102:21,21	37:16 79:8 86:16	<b>given</b> 16:10 27:22	81:19 85:10 88:4	142:2 173:10,13
112:4 141:7	99:13 100:15	35:22 56:15 58:15	88:14,15 89:17,18	<b>governments</b> 15:6
<b>fresh</b> 161:1	109:15 130:18	66:3 70:9 74:13	94:21,22 97:17	<b>Governors</b> 52:20
<b>friends</b> 11:18	133:2,6 156:12	77:1,13 103:8	99:2 100:3,12	52:22
<b>front</b> 84:20 105:17	<b>gather</b> 176:10	113:3 126:15	107:3 110:3,9	<b>go-ahead</b> 70:9
108:13 120:5	<b>gating</b> 53:15 54:10	152:2	113:16 114:12	<b>graciously</b> 146:10
<b>frustrating</b> 144:8	<b>Gattuso</b> 118:7,9,12	<b>gives</b> 58:5 63:15	115:1,4,19 119:12	<b>gradation</b> 112:10
<b>frustrations</b> 134:10	159:20 160:1	<b>giving</b> 33:21 57:21	121:21 126:20	<b>grade</b> 178:16
<b>full</b> 19:20 26:21	179:10,17	65:6 138:2	135:16 139:1,20	<b>grant</b> 67:18
32:1 84:19 85:5	<b>geez</b> 114:12	<b>global</b> 137:8	141:1 144:20	<b>grants</b> 13:9
85:13,14 87:13	<b>Genachowski</b>	<b>GMF</b> 78:14,15,17	145:2 147:16	<b>granular</b> 176:15
106:9 119:7,9	12:14	<b>go</b> 5:10,12,16 13:20	153:17,18 157:4,5	<b>great</b> 17:5 29:11,13
120:18 121:3,7	<b>general</b> 37:11	41:1 46:10 48:12	164:2 165:15	32:16 37:9 43:19
129:16 130:6	53:21 72:2 97:17	67:5,7 76:3 84:13	168:15,17 169:11	46:5 47:17 60:16
145:9,12	147:11	86:8 87:5 91:16	170:3,15,20,21	71:11 87:3 89:6
<b>fuller</b> 138:2	<b>generally</b> 26:2	100:4 102:6	171:9 172:7	99:16 115:21
<b>fully</b> 87:12 139:21	54:20 59:12,17	111:10 132:4	175:18 176:12	122:13 134:9
<b>fun</b> 89:1	61:16 64:10,13	133:16,17 134:14	177:19,22 178:4	138:22 144:3
<b>function</b> 51:18,19	75:18 174:5	135:20 137:20	179:6 180:16	145:16,22 148:10
54:11 141:17	<b>generation</b> 22:17	138:18 140:20	<b>going-forward</b>	172:11 173:7
<b>functions</b> 176:16	<b>generic</b> 112:7	141:20 142:21	141:21	178:6 179:5
176:18	<b>gentleman</b> 54:14	152:16 153:21,21	<b>Gomez</b> 3:5 5:14	<b>greater</b> 35:16
<b>fundamentally</b>	<b>geographically</b>	155:13 161:18	7:16,19 10:17	<b>greatest</b> 19:22
35:8 36:22 79:14	76:8	162:13 166:1	<b>good</b> 7:20 8:13,18	27:18
<b>funding</b> 31:3 88:7	<b>geography</b> 129:9	168:11 169:9	8:19 11:18 12:9	<b>Greg</b> 6:20 106:20
<b>Furchtgott-Roth</b>	<b>geolocation</b> 152:6	170:10 175:16	29:22 49:15 50:20	<b>GREGORY</b> 2:16
1:22 5:22 6:1,1	<b>GERARD</b> 2:17	176:5	51:9 52:22 71:11	<b>Greg's</b> 109:22
99:9,15 129:19	<b>Gerry</b> 6:18 40:7	<b>goal</b> 26:12 59:5,20	83:20 84:3,3	137:17
162:13,16	41:16 42:19 78:11	85:19 119:17	93:21 95:21	<b>grid</b> 177:12,19
<b>further</b> 9:20	116:13 117:21	139:6 144:21	101:12 109:17	<b>grocery</b> 21:20
102:12 110:14	161:10 170:5,8	145:11,12,19	117:15 122:17	<b>gross</b> 138:11,20
124:9 133:3	<b>getting</b> 53:18 55:2	156:22 157:4	136:9 139:3	<b>group</b> 5:16 12:7
162:10,11	76:16 82:5 91:20	160:11 162:8	144:16 153:6,8	16:8 51:5,6 57:5
<b>future</b> 4:12 10:9	95:12 96:7 113:13	<b>goals</b> 26:16	166:19 167:1	62:17 73:17,18
25:2 27:13 28:9	123:13 126:21	<b>goes</b> 24:4 57:6 61:7	179:19 180:14	75:14 80:11,12,14
33:1 46:6 47:5	129:5 138:6,7	65:5 133:12	<b>gosh</b> 158:3	80:15 83:21 86:14
81:19 100:7	170:11	<b>going</b> 9:11 10:8,21	<b>governed</b> 143:17	89:6 93:17 110:2
108:16 113:14	<b>gigabytes</b> 21:2,12	16:21 18:12,14	<b>government</b> 15:8	114:22 120:22
138:16 164:6	<b>gigahertz</b> 104:9	19:10 21:10 22:19	22:11 32:11 39:9	123:15 124:20
	129:7	23:18 29:19 32:5	46:9 47:7 48:15	130:2 131:21
	<b>give</b> 16:11 21:9	33:22 34:15,16,17	54:3 60:16,18	134:21 139:9
<b>G</b>				

145:4 151:13 157:4,16 158:10 165:11 166:1 <b>groups</b> 51:3 62:1,8 62:13,15 64:5 158:18,19,21 159:4 <b>grow</b> 40:4 <b>grown</b> 51:12 104:12 <b>grows</b> 24:20 <b>growth</b> 13:18 17:6 18:8 20:5 <b>guarantee</b> 19:19 <b>guard</b> 52:6 53:11 54:5 69:8,14 141:4 <b>guess</b> 36:7 43:5 52:18 91:14 106:21 115:11 151:16 165:11 166:3,6 <b>guesses</b> 128:5 <b>guidance</b> 130:5 <b>Gurss</b> 2:10 5:17,17 5:21,21 58:21 82:9,13 83:12 86:16 111:16 115:6 144:5 161:9 <b>guy</b> 79:13 82:7 <b>guys</b> 10:12 38:3 137:10 170:14 173:8 <b>G1</b> 20:19	<b>happen</b> 40:2 51:6 57:22 120:8 121:12 <b>happened</b> 21:22 <b>happening</b> 44:16 106:10,13 154:13 158:2 <b>happens</b> 10:7 22:3 22:7,16 24:6 <b>hard</b> 8:10 13:8 110:4 115:1 116:2 143:14 180:10 <b>hardest</b> 15:9 <b>harm</b> 177:6 <b>harmful</b> 149:1 165:20 167:13 <b>harmonization</b> 118:1 141:5 <b>harness</b> 97:8 114:7 <b>Harold</b> 1:22 5:22 99:7 155:2 <b>Harold's</b> 106:22 <b>hate</b> 164:19 <b>Hatfield</b> 1:14,17 3:3 5:3,19 7:3,11 7:14 10:15,19 33:7 37:16 38:19 40:7 42:16 43:22 73:1,11 76:1 78:11 79:8 82:4 84:4 92:20 95:7 95:20 157:14,19 157:22 158:8 161:18 164:11 170:14 171:2 <b>head</b> 43:7 52:8 <b>headline</b> 25:20 <b>healthcare</b> 13:22 <b>healthy</b> 87:7 88:9 <b>hear</b> 19:11 <b>heard</b> 20:3 115:8 <b>hearing</b> 41:18 43:3 44:7 49:11 63:7 179:6 <b>hearings</b> 14:16 <b>heartened</b> 40:10 42:19	<b>heavily</b> 36:1 96:19 142:2 <b>held</b> 14:15 79:7 <b>hell</b> 15:22 <b>Hello</b> 7:8 <b>help</b> 15:18 17:19 43:16 46:15 61:5 88:14 108:21 160:21 162:18 <b>helpful</b> 10:19,20 84:5 87:12 104:16 109:21 163:9 <b>helps</b> 40:19 <b>Herbert</b> 1:13 <b>herring</b> 34:10 <b>hey</b> 97:16 161:14 <b>HHS</b> 53:5 <b>hiding</b> 136:12 <b>high</b> 21:7 24:22 44:20 <b>higher</b> 24:15 <b>highest</b> 27:17 <b>highlight</b> 109:14 132:10 <b>hindrance</b> 72:16 <b>hint</b> 17:10 <b>hinted</b> 139:18 <b>history</b> 23:22 70:13 <b>hit</b> 87:1 <b>hits</b> 59:18 <b>hitting</b> 21:3 128:17 <b>hoc</b> 51:2 61:22 <b>hold</b> 27:13 58:16 <b>holder</b> 135:21 <b>home</b> 140:16 <b>homework</b> 13:6 <b>honest</b> 80:21 162:7 <b>hook</b> 63:11,19 <b>Hoover</b> 1:13 <b>hop</b> 77:7 <b>hope</b> 34:21 85:10 117:3 143:5 147:12 <b>hopeful</b> 33:3 85:1 <b>hopefully</b> 17:1 33:4 121:9 124:4 143:5 144:1	<b>horizon</b> 43:14 <b>horse</b> 155:1 <b>hot</b> 146:20 <b>hours</b> 11:19 <b>Howard</b> 154:10 <b>huge</b> 13:19 144:12 <b>hundreds</b> 14:16 26:17 <b>hypothetical</b> 174:21	48:7 51:10 80:6 92:2 95:2,14 102:1 107:14,16 108:2 110:6,19 111:13 115:20 132:7,20 134:6 162:20 164:5 168:16 169:5 173:19 174:17 <b>impossible</b> 79:21 <b>impractical</b> 24:16 <b>impressed</b> 129:21 <b>impressive</b> 15:2 20:2 83:21,21 <b>improve</b> 17:9 <b>improvement</b> 88:5 <b>impulse</b> 21:20 <b>inalterable</b> 120:10 <b>incentive</b> 34:8 146:11 <b>incentives</b> 4:7 9:22 34:20 39:3 166:4 166:5,9,11 167:3 <b>incident</b> 48:21 <b>included</b> 166:11 <b>includes</b> 19:3,5,9 21:5 22:11 27:1 <b>including</b> 19:11 22:13 36:13 <b>incoming</b> 60:11 <b>incomplete</b> 157:11 <b>inconsistency</b> 33:15 <b>incorporate</b> 116:9 117:19 <b>increase</b> 9:6 20:11 22:22 23:5 25:10 35:20 36:15 <b>increased</b> 21:13 <b>increases</b> 23:17 <b>increasing</b> 9:10 23:16 28:14 140:14 <b>increasingly</b> 140:8 <b>incredible</b> 21:22 <b>incumbents</b> 128:18 <b>index</b> 20:10
<hr/> <b>H</b> <hr/> <b>haired</b> 47:19 <b>half</b> 46:7 <b>halfway</b> 24:5 <b>hall</b> 17:14 <b>hammering</b> 103:14 <b>hand</b> 55:1 76:5 77:4 105:10,16 146:19 178:8,9,10 178:17 <b>handle</b> 110:12 <b>hands</b> 75:22 167:11			<hr/> <b>I</b> <hr/> <b>IBB</b> 53:3 <b>idea</b> 28:5 47:6 93:15 111:1 134:9 138:11 148:17 153:6,8 170:11 <b>ideal</b> 26:18 <b>ideally</b> 85:14 120:7 <b>ideas</b> 29:5 37:4,5 51:11 129:1,2 138:9 147:5 <b>identify</b> 7:8 125:4 129:1 169:1 172:16 <b>identifying</b> 111:8 133:2 <b>ignore</b> 127:16 <b>illustrate</b> 124:18 <b>illustrative</b> 88:20 <b>imagine</b> 119:3 <b>immediately</b> 58:13 85:21 <b>impact</b> 56:2 75:16 <b>implement</b> 10:4 70:6 <b>implementation</b> 43:16 62:2 <b>implementing</b> 128:11 <b>implications</b> 141:20 <b>importance</b> 131:2 135:11 <b>important</b> 8:14 18:15 26:1 28:10 29:20 31:15 47:1	

<p><b>indicate</b> 107:19 126:12</p> <p><b>indifference</b> 24:10</p> <p><b>individual</b> 28:5 49:2 51:3 53:17 72:5 73:4 85:8 109:12 126:6</p> <p><b>individuals</b> 173:16</p> <p><b>indulgence</b> 82:10</p> <p><b>industry</b> 15:8 28:20 29:14 37:7 40:22 44:12 47:7 98:11 103:10 127:1 154:6</p> <p><b>inefficiently</b> 123:7</p> <p><b>inevitable</b> 80:18 133:21</p> <p><b>infiltration</b> 177:14</p> <p><b>inform</b> 176:12</p> <p><b>information</b> 3:6,12 7:18 62:7,9 72:21 76:16 92:11 93:5 95:14 98:1,8,12 100:16 102:17 105:20 115:13 138:8 174:4 175:4 176:11,14,22 177:1,4,17,21 178:18</p> <p><b>infrastructure</b> 14:11 18:12,13 176:18</p> <p><b>inherent</b> 131:9</p> <p><b>initial</b> 86:1 160:8 163:16</p> <p><b>initiate</b> 77:19</p> <p><b>initiative</b> 87:16</p> <p><b>injecting</b> 138:8</p> <p><b>inning</b> 126:19</p> <p><b>innovation</b> 9:5 17:5 17:6</p> <p><b>innovative</b> 9:4 19:10 128:18</p> <p><b>innovators</b> 37:8</p> <p><b>input</b> 55:3 57:22 61:7 80:10,13 83:10 85:5 87:3</p>	<p>87:13</p> <p><b>inputs</b> 65:7</p> <p><b>inquiry</b> 32:4</p> <p><b>inside</b> 23:13 32:18 32:21 44:18 136:11</p> <p><b>insider/outside</b> 12:8</p> <p><b>insightful</b> 16:8</p> <p><b>install</b> 103:7</p> <p><b>instance</b> 48:21 54:2 54:5 56:17 71:13 77:5 81:3 102:16 103:5</p> <p><b>instances</b> 35:10</p> <p><b>institution</b> 175:7</p> <p><b>institutional</b> 130:17 131:8</p> <p><b>institutions</b> 174:18</p> <p><b>instruct</b> 50:15</p> <p><b>insufficient</b> 82:17</p> <p><b>insurmountable</b> 115:18</p> <p><b>integrity</b> 174:20 175:9</p> <p><b>Intel</b> 7:2</p> <p><b>intend</b> 26:9</p> <p><b>intended</b> 108:21</p> <p><b>intensely</b> 95:9</p> <p><b>interconnected</b> 177:20</p> <p><b>Interdepartment</b> 46:20</p> <p><b>interest</b> 15:18 38:17 163:5 174:8</p> <p><b>interested</b> 37:14 62:13 86:4 149:14 173:3</p> <p><b>interesting</b> 49:10 54:4 106:3 110:10 123:2 138:15 144:20</p> <p><b>interests</b> 49:7 52:16 155:20</p> <p><b>interface</b> 23:2</p> <p><b>interference</b> 9:21 27:21 75:16 91:9</p>	<p>95:8,9,12 97:19 107:12 140:2,16 140:21 141:4,9,12 142:14,17 143:12 144:13 146:4 149:2 151:3,9 165:21 167:13</p> <p><b>interim</b> 170:12 171:9</p> <p><b>Interior</b> 54:15</p> <p><b>internal</b> 131:19 132:8</p> <p><b>internet</b> 9:2 18:18</p> <p><b>interoperability</b> 30:21,22</p> <p><b>interoperable</b> 30:8</p> <p><b>intersection</b> 32:15</p> <p><b>introduce</b> 5:13</p> <p><b>introduced</b> 175:14</p> <p><b>introduction</b> 11:15 177:19</p> <p><b>invariable</b> 80:17</p> <p><b>invented</b> 22:5</p> <p><b>inventories</b> 136:22</p> <p><b>inventory</b> 3:19 9:20 26:22 86:10 86:14 88:16,21 89:12,15 100:1 102:10,11 104:15 107:5 108:5,20 111:11 112:2 114:12 126:19 130:2,9,12 131:21 136:20 167:20,22 168:16 176:6,8,9 178:4</p> <p><b>invest</b> 29:20 155:3</p> <p><b>invested</b> 39:5 99:20</p> <p><b>investigation</b> 110:14 133:3 134:15</p> <p><b>investigative</b> 55:15</p> <p><b>investment</b> 18:12 39:1,17,20 100:7 139:21 140:1</p> <p><b>invite</b> 122:20 123:12</p>	<p><b>involve</b> 77:12</p> <p><b>involved</b> 57:2 61:9 81:2 142:3</p> <p><b>in-car</b> 154:6</p> <p><b>in-depth</b> 102:13 152:9</p> <p><b>iPhone</b> 20:16 98:5 110:7</p> <p><b>IRA</b> 49:3</p> <p><b>IRAC</b> 46:12 47:12 47:13,16 48:3,6 48:12,20 49:5,9 49:13,14 52:14 54:18 55:9 56:2 57:1 58:14 60:3 69:19 124:2</p> <p><b>IRAC's</b> 61:6</p> <p><b>Islands</b> 13:1 47:10</p> <p><b>ISM</b> 28:20</p> <p><b>isolate</b> 96:11,12</p> <p><b>isolated</b> 101:14,15</p> <p><b>iSolon</b> 172:20</p> <p><b>ISPs</b> 96:4</p> <p><b>issue</b> 9:17 40:19 71:1 90:3,9 94:5 99:18 102:8 105:9 112:21 117:22 121:15 131:11 144:7 146:21 150:15 172:22 174:16</p> <p><b>issues</b> 8:11 10:9 13:16 45:9 46:6 64:3 73:21 81:13 91:9 98:14 99:19 99:22 102:3 115:11,12,17,20 131:9 144:6 150:3 164:3 169:11 177:15 178:5,11 178:13,14</p> <p><b>ITAC</b> 61:17</p> <p><b>item</b> 58:22</p> <p><b>items</b> 21:20 56:1</p> <p><b>ITU</b> 61:15</p> <p><b>ITU-R</b> 61:15</p>	<p style="text-align: center;"><b>J</b></p> <p><b>JAMES</b> 2:12</p> <p><b>Janice</b> 50:8 143:21 150:11 155:6</p> <p><b>Jennifer</b> 2:18 3:18 6:15 38:19 82:11 86:9,16 89:7 90:3 110:15 113:10 137:15 144:17 150:7,17 164:1</p> <p><b>Jennifer's</b> 165:12</p> <p><b>Jim</b> 7:13 169:13 172:19</p> <p><b>job</b> 80:19</p> <p><b>Joe</b> 118:7 151:11 170:8 172:4 173:5 179:7</p> <p><b>Joe's</b> 172:7</p> <p><b>John</b> 3:8 6:12 11:5 11:13 33:8 37:17 38:20 40:9 44:5 46:4,22 111:1</p> <p><b>join</b> 147:6</p> <p><b>JR</b> 2:15</p> <p><b>Julie</b> 46:1,5 59:12</p> <p><b>junk</b> 28:20</p> <p><b>junkie</b> 14:21</p> <p><b>juxtaposed</b> 106:4</p> <p style="text-align: center;"><b>K</b></p> <p><b>Kahn</b> 2:11 7:2,2 97:6 112:20 115:3 135:6 137:12</p> <p><b>Karl</b> 3:11 46:11 49:12 54:13 68:2 73:1 79:9 84:4 86:18 87:4 88:13 99:8 110:13 121:18 151:11 173:4</p> <p><b>Karl's</b> 46:7,13 102:5</p> <p><b>keep</b> 25:9 48:8 83:3 113:6 117:12 135:22 161:11 162:8 166:17 167:19 169:3,5</p>
--	---	--	---	--

<b>keeping</b> 78:15 96:6 168:17	106:13,16 109:4 110:21 112:8,12	166:22 167:15 171:17 180:11	<b>Levin</b> 23:9	<b>listed</b> 65:15 74:1 92:13 113:10
<b>kept</b> 54:7	113:19 117:8	<b>launched</b> 40:15	<b>Lewis</b> 2:12 7:13,13 169:9	<b>listen</b> 123:4,4
<b>Kevin</b> 2:11 7:2 111:15 112:19	122:8 123:16	166:2	<b>liaison</b> 52:15 64:18 68:1	<b>listening</b> 105:6
114:21 135:5	124:19 127:2	<b>laundry</b> 156:15,22	<b>license</b> 27:11 42:9 65:9,17 74:21	<b>little</b> 14:20 33:14 36:8 39:2 41:21
<b>Kevin's</b> 115:7	130:11 132:1,17	<b>laurels</b> 8:15	92:17 106:14	46:15 47:17,19
149:19 165:18	136:13,21 137:1	<b>law</b> 55:16 56:18	112:4 134:12	48:4 52:5 60:22
167:19	143:18 145:7	<b>lawyer</b> 16:5	153:22	61:15 76:1,14
<b>key</b> 25:18 28:4 32:5	147:8 151:11	<b>lawyers</b> 16:2	<b>licensed</b> 19:4,8 26:3 35:15 42:13	81:1 101:1 105:19
45:7,12 87:2	153:12,14 154:10	<b>layer</b> 142:8	42:21 100:4,9,18	107:1 112:8
102:20 104:19,22	161:3 163:6 167:4	<b>lead</b> 9:3 10:1 29:16	100:21 103:4	113:16 132:3
112:6 141:14	172:5 173:11	101:1 144:11	104:13 109:1,2	135:8 153:11
177:5	175:12	164:2	166:8	156:15 164:12
<b>KHAN</b> 168:9	<b>knowing</b> 72:2	<b>leaders</b> 15:8 47:11	<b>licensee</b> 66:12	174:15 177:3
<b>kind</b> 21:19 27:14	103:16 106:10	<b>leadership</b> 11:16	<b>licensees</b> 27:22 177:18,18	<b>live</b> 144:15
34:8 38:1 39:5	129:6 134:7,7	15:13 16:16 47:8	<b>licenses</b> 27:19 41:13 42:7 68:5	<b>lives</b> 14:12 17:10
41:20 42:22 50:19	138:12 178:9	48:18 120:9	99:21 100:6,7	<b>local</b> 15:6
56:22 59:10 63:5	<b>knowledge</b> 54:7	123:16 126:2,3,22	101:2 107:2	<b>location</b> 71:18 74:15 76:20 77:3 98:3
71:2 76:19 80:17	<b>knows</b> 5:11 13:5 16:13 50:5	146:10	<b>licensing</b> 64:22 75:5 156:8	<b>Lockheed</b> 6:16
81:10 91:4 94:22	<b>KN's</b> 87:2	<b>leads</b> 24:22	<b>life</b> 13:22	<b>logical</b> 22:9
97:9 98:16 114:12		<b>learn</b> 158:3	<b>lifespan</b> 159:17	<b>long</b> 11:19,21 21:16 29:21,22 35:12
114:16 115:6	<b>L</b>	<b>learned</b> 15:20	<b>lifetime</b> 44:11	37:13 49:15 51:1
132:1,3 136:18	<b>L</b> 1:19	<b>learnings</b> 15:10	<b>light</b> 46:3 156:8 169:17	101:17,17,19
150:14 158:15	<b>label</b> 87:14	<b>leave</b> 129:12	<b>liked</b> 135:7	127:15 133:11
163:22	<b>lack</b> 144:11	<b>left</b> 158:2	<b>limit</b> 26:19	<b>longer</b> 13:12 34:19 45:6 64:12
<b>kinds</b> 87:21 97:12	<b>laid</b> 139:17	<b>legislation</b> 175:13 175:16	<b>limited</b> 34:3 92:16 105:14	<b>longest</b> 48:14
151:19	<b>land</b> 83:2	<b>Leibovitz</b> 3:8 6:12 6:12 11:5,14 12:6	<b>limits</b> 30:1	<b>long-term</b> 101:10
<b>Knapp</b> 46:1 59:12	<b>lanes</b> 166:17	16:4 23:12 33:11	<b>line</b> 23:15 69:7 74:8 117:9,11 122:22	<b>long-time</b> 15:15
<b>knew</b> 7:5	<b>language</b> 105:17 109:20	35:2 38:2,5,11	139:16	<b>look</b> 13:16 43:3 44:6 50:17 53:21
<b>know</b> 8:9 9:9 10:6	<b>large</b> 44:17 75:19 99:20	39:7,12,19 41:15	<b>lines</b> 132:10 137:18 149:22	69:8 81:18 91:21
11:6 12:10,15	<b>larger</b> 76:12	42:9,15 43:18	<b>link</b> 76:22	93:9,18 95:10
18:14 36:7 37:7	<b>large-scale</b> 15:3	45:13 111:1	<b>links</b> 81:8	100:4 106:4
37:13 38:16 40:13	<b>Larry</b> 8:2 11:16 151:12 156:17	<b>letter</b> 77:21	<b>list</b> 85:22 88:20 102:20 103:21	108:22 118:3
40:22 42:19 43:6	157:11 164:4	<b>let's</b> 13:3 16:20 25:14 31:7 69:8	132:1 148:15,17	122:21 136:1
43:10 47:10 49:1	179:7,19	76:3 117:13	149:4 150:4	137:17 138:7
49:17 56:21 57:16	<b>Larry's</b> 179:11	124:22,22 126:8	156:15,22 157:3	141:11,15 142:15
57:16 62:12 63:5	<b>latest</b> 118:16	164:5		143:4 147:4
65:17,21 67:14,20	<b>Laughter</b> 16:3 23:11 39:15 47:3	<b>level</b> 28:18 53:12 69:3 72:3 80:9,13		149:17 153:8
70:11 71:20 75:1	47:22 52:9 53:8	88:10 95:8 100:22		156:4 159:1 165:4
79:17 86:12 89:2	86:22 118:21	123:19 124:12		169:12
91:1,17,19 93:13	127:21 133:9	125:9 176:15		<b>looked</b> 99:6 108:7
93:13,19 94:19	146:17 155:12	<b>levels</b> 95:12 125:19		
96:2 97:17 98:4		<b>Leveraging</b> 30:12		
101:13 102:22				
104:7,9,14,21				
105:5,5,6 106:2				

108:14 124:2,3 173:14 <b>looking</b> 8:20 19:9 45:4 59:10 63:21 64:2 95:11 124:16 129:17 141:2,4,9 142:1,3,11 143:8 143:11,15,22 151:2 165:4 179:15 <b>looks</b> 36:17 60:11 67:7 180:14 <b>loop</b> 116:20 <b>losing</b> 69:5 <b>lost</b> 141:14 <b>lot</b> 12:9 13:13 15:20 18:9,13,16 19:21 22:19 23:19 35:2 40:17 45:12 47:18 67:4 75:22 77:12 81:14 87:7 88:4 89:1 96:1 98:8 99:10 100:10 100:16,17 108:6 108:19 109:17 124:19 129:1 130:1 133:11 141:16 151:21 154:13,14 156:18 158:19,20 159:14 175:15 176:21 <b>lots</b> 22:21 <b>love</b> 134:17 <b>low</b> 129:7 <b>lower</b> 44:20 <b>lowest</b> 40:12 <b>low-cost</b> 24:22 <b>LTE</b> 23:2 <b>lucky</b> 15:14 16:7,12	80:19 <b>maintain</b> 78:16,22 <b>major</b> 27:15 53:22 54:1 62:22 63:3 80:3,5 122:19 <b>majority</b> 119:20 120:16 121:6 <b>making</b> 29:22 39:18 116:15 174:8 <b>malfeasance</b> 49:3 <b>man</b> 49:14 <b>manage</b> 75:18 <b>management</b> 1:3 1:12 3:12 5:5 8:1 10:1 16:1,5,6 50:16,18 51:8,17 55:21 78:4 80:9 97:18 128:9 132:9 141:22 176:13 <b>managers</b> 78:13 136:6 <b>manner</b> 114:9 <b>manual</b> 57:11 74:2 <b>map</b> 26:11 113:11 <b>march</b> 1:9 12:16 31:13 <b>maritime</b> 54:7 <b>Mark</b> 1:19 3:18 6:14 86:8,16 101:18 117:20 143:21 154:1 <b>marker</b> 114:19 <b>market</b> 23:22 90:15 100:20 <b>marketing</b> 90:13 90:20 91:1,21 <b>marketplace</b> 9:2 25:12 94:9 <b>markets</b> 27:15 <b>Mark's</b> 153:9 <b>Martin</b> 1:18 6:16 <b>Marty</b> 6:5 22:21 38:13 40:20 86:17 89:7 91:10 97:9 105:6 144:18 146:1	<b>matter</b> 65:13 123:8 <b>maximizes</b> 42:4 <b>McHenry</b> 86:17 101:18 143:21 <b>mean</b> 41:16,22 53:11 71:3 73:11 76:10 83:20 89:17 91:16 93:1,15,20 95:8 104:7 105:5 108:6 111:18 114:14 115:7 124:1 126:18 135:13,15,15,18 136:13,15 144:10 153:12 154:4,13 154:22 157:10 159:9 160:9 171:8 <b>means</b> 12:19 35:8 48:9 66:19 94:9 <b>meant</b> 37:20 93:12 112:15 <b>measure</b> 89:19 90:12 91:2 137:2 138:13 <b>measurement</b> 70:21 90:22 93:7 101:11 <b>measurements</b> 71:2 92:22 99:3 101:22 105:8,12 105:18 124:17 132:21 149:22 <b>measures</b> 112:9 <b>measuring</b> 90:10 90:14 94:6,9 111:5,5,8 <b>mechanism</b> 27:14 63:12 82:13 114:15 151:4 <b>mechanisms</b> 95:1 140:21 143:4 <b>medical</b> 17:17 <b>meet</b> 12:12 20:1 26:15 31:4 82:17 147:10 <b>meeting</b> 1:6 3:16 4:17 5:7,8 7:4,22	9:19 31:14 46:6,8 59:1 84:9 85:3,15 86:1 116:5,12 117:1 121:13 144:22 145:9,20 146:15 147:9,11 147:13 148:13 160:4,8 162:8 170:13 180:20 <b>meetings</b> 47:7 55:9 164:8 <b>megabytes</b> 20:16 20:20 <b>megahertz</b> 25:21 26:12,17 27:3 28:1,2 30:10 41:11 44:19 129:7 129:8 <b>member</b> 1:18,18,19 1:19,20,21,22 2:10,11,12,14,15 2:16,17,18 60:6 67:16 125:22 <b>members</b> 8:7 60:4 60:5 67:5 79:3 85:7 89:6 108:3 130:4 159:1 174:9 176:7 178:6 <b>memo</b> 139:8 <b>men</b> 47:19 <b>mention</b> 39:1 45:21 73:15 94:8 121:20 <b>mentioned</b> 26:14 27:2 36:11 73:16 106:17 147:15 155:17 <b>mentions</b> 33:17 <b>menu</b> 110:7 <b>merely</b> 70:9 <b>merits</b> 148:22 <b>message</b> 34:12 136:4 <b>messages</b> 60:11 <b>met</b> 1:12 12:12 80:16 <b>methods</b> 141:3 <b>metrics</b> 132:2	<b>Mexican</b> 110:7 <b>mic</b> 91:11 <b>Michael</b> 1:18 4:7 6:8 40:8 42:16 86:17 102:6 105:2 130:17 131:15 135:17 146:9 155:13 <b>Michael's</b> 148:9 <b>microphone</b> 99:13 <b>microphones</b> 5:20 <b>Microsoft</b> 52:2 <b>microwave</b> 81:8 <b>middle</b> 44:7 <b>midst</b> 80:3 <b>mid-May</b> 179:11 <b>military</b> 71:19 73:18 81:9 <b>million</b> 16:14 <b>MIMO</b> 23:4 <b>mind</b> 48:8 83:3 151:12 165:2 <b>minority</b> 119:10,21 120:12 <b>minute</b> 61:1 <b>minutes</b> 56:14 76:3 <b>missed</b> 146:15 <b>mission</b> 116:4 127:7 131:7 <b>missions</b> 109:7 176:16 <b>mitigation</b> 146:4 <b>mix</b> 151:21 <b>mobile</b> 16:20 17:4 17:8,17 18:17 19:1,3,19 20:22 21:4 22:9,12,18 22:22 25:1,2,16 26:4,14 27:13,17 28:9 30:6,9 35:16 77:5 81:5 83:2,6 103:6 108:16 <b>mobility</b> 32:17 77:13 <b>mode</b> 50:20 137:5 <b>model</b> 14:21 142:12
<b>M</b>				
<b>m</b> 2:10,14 3:5 151:17 <b>macro</b> 86:5 <b>magic</b> 28:19 81:2 <b>main</b> 24:19,21 57:4 60:3 62:16 67:21				

<b>modeling</b> 14:22	<b>mute</b> 169:15	66:4 88:4 107:18	29:15 33:18 34:8	<b>noticed</b> 87:9
<b>models</b> 14:20 15:1 19:10,12 28:3	<b>Mylet</b> 2:14 3:21 6:17,17 86:17	107:21 111:5	34:11,12 35:18	<b>notices</b> 32:4
<b>modern</b> 127:10	122:17 127:22	135:15 137:21	36:6,12 40:1 41:5	<b>notifying</b> 77:22
<b>modest</b> 13:14	130:8 138:4	167:2	42:6 51:11 62:19	<b>noting</b> 117:22
<b>modestly</b> 180:4	<b>Mylet's</b> 122:14	<b>need</b> 9:13,16 22:19	67:5 72:6 75:8,13	<b>notion</b> 132:12,17 132:18 135:2,21
<b>moment</b> 16:20 27:5 86:18 91:7	<b>mysterious</b> 48:2,5	23:18 25:6 27:17	75:13 85:20 94:17	<b>NPR</b> 154:11
<b>money</b> 29:18 40:3 62:22 63:15,18 99:21	<b>mystery</b> 47:17 79:11	30:18 45:10 46:14	104:17 131:3 140:6 147:1	<b>NSA</b> 54:14,17
<b>monitor</b> 71:10 94:14	<b>N</b>	48:8 58:7 70:11	147:5 148:10,14	<b>NTIA</b> 7:18 10:4,10 11:16,18 12:6,9 13:8 19:13 26:10 34:7 36:15 43:11 48:7,9 49:18 52:14 57:20 58:13 61:11 62:3 63:17 64:3 66:13 67:1 74:2 83:17 123:16 126:2,13,22 132:9 132:13 137:20 138:4,5 151:11 163:1 165:1 177:22
<b>monitoring</b> 90:2 94:1 99:1 124:16 149:21 169:4	<b>name</b> 48:22 49:1 53:2 175:22	74:17 76:2 79:4	157:2,5 158:12	<b>NTIA's</b> 56:6 78:4
<b>month</b> 12:17 20:17 20:20 21:2,12	<b>names</b> 52:4	80:2,13 82:22	160:6,9 161:5,12	<b>number</b> 7:10 20:8 21:13 26:14 27:16 47:11 60:5 61:9 67:11 68:3,4,5 73:15,18 74:6,10 80:7 90:12 92:12 95:3 116:5
<b>months</b> 14:14 32:8 44:7,18 64:10 142:18	<b>Nashville</b> 55:8	83:11 93:4,18	161:13 166:4	<b>numbers</b> 20:2 21:3
<b>morning</b> 7:20 8:3 45:15,20 84:17 86:3 139:19 149:13	<b>nation</b> 23:18 177:13	97:10 100:1	171:3,3 172:5,5,9	<b>nurture</b> 29:11
<b>move</b> 22:8,17 32:13 58:10 59:9,14 66:8,20 81:3 85:11 86:8 114:15 116:11 122:14 124:4,6 137:15 139:1 144:12 146:9 148:10	<b>National</b> 3:12 7:10 8:17 11:11 12:15 13:4,4 46:3 148:20,22 154:8 155:21 165:19 167:17 169:10	104:20 106:8	<b>Newman</b> 39:14	<b>N.W</b> 1:13
<b>moved</b> 12:17 113:20	<b>navigation</b> 112:11	107:7,11 119:22	<b>nibbling</b> 79:15	<b>O</b>
<b>movement</b> 80:18	<b>Navy</b> 53:10	121:22 122:10,11	<b>nice</b> 12:12 34:7 98:17 104:7 127:11	<b>objections</b> 174:8
<b>moving</b> 8:21 44:22 60:17 76:22 116:16 126:21 163:21	<b>near</b> 13:11 45:5	128:1,2,19,19	127:11	<b>objective</b> 87:22
<b>MSS</b> 26:19 111:14 112:6	<b>near-term</b> 45:9	131:11 134:14	<b>night</b> 180:7	<b>objectives</b> 33:12 45:7
<b>multi</b> 146:4	<b>neat</b> 177:3	136:13 140:1	<b>nine</b> 14:14 65:8,14	<b>observed</b> 113:20 127:14
<b>multiple</b> 44:20	<b>Nebbia</b> 3:11 46:14 46:18 47:4 48:1 49:14 52:10,21 53:14 54:17 55:6 55:12,19 59:4,19 60:1 68:4,8,19 69:2,11,17,21 70:4 72:9,12 73:10,14 76:17 78:16 80:1 82:11 82:19 84:2 86:19 102:7 104:5 121:19 151:16	143:6 148:3 153:22 154:17 158:4 164:1 169:12 170:22	<b>nine-day</b> 65:21 66:2	<b>Obuchowski</b> 143:22 150:11 155:6
<b>multiply</b> 34:5	<b>nations</b> 44:21	<b>needed</b> 31:4 133:3	<b>nine-inning</b> 126:19	<b>Obuchowski's</b> 50:9
<b>multi-band</b> 41:22	<b>nationwide</b> 77:15 81:5	<b>needs</b> 24:2 40:1 77:6 79:6 88:1 153:15 167:22	<b>nine-working-day</b> 65:6	<b>obviate</b> 143:6
	<b>nature</b> 51:4	<b>neither</b> 23:9	<b>nobody's</b> 146:15	<b>obviously</b> 13:18
	<b>navigation</b> 112:11	<b>net</b> 21:5	<b>NOI</b> 56:5	
	<b>Navy</b> 53:10	<b>network</b> 18:13 20:1 21:4,7,14 22:19 23:1 30:7,9,14 31:4,6 37:18 38:8 38:12 96:4,4,15	<b>noise-like</b> 95:10	
	<b>near</b> 13:11 45:5	<b>networking</b> 20:10	<b>nomenclature</b> 178:12	
	<b>near-term</b> 45:9	<b>networks</b> 19:4 22:13 24:13 30:16 177:8,14	<b>non</b> 76:21	
	<b>neat</b> 177:3	<b>never</b> 41:2 48:3 63:18 69:2 81:15 81:16 136:7	<b>non-existent</b> 18:6	
	<b>Nebbia</b> 3:11 46:14 46:18 47:4 48:1 49:14 52:10,21 53:14 54:17 55:6 55:12,19 59:4,19 60:1 68:4,8,19 69:2,11,17,21 70:4 72:9,12 73:10,14 76:17 78:16 80:1 82:11 82:19 84:2 86:19 102:7 104:5 121:19 151:16	<b>Neville</b> 6:22 143:18 143:19	<b>non-federal</b> 50:6 65:9,16 66:5 67:12 68:5 81:22 123:19 126:4	
	<b>necessarily</b> 39:10 55:22 58:11 60:5	<b>new</b> 6:9 8:21 9:3,5 15:16 17:3,15 18:3,19 20:1 22:5 23:21 27:14 28:16 28:17,18 29:1,5	<b>non-licensed</b> 89:15 156:6	
			<b>non-public</b> 56:11	
			<b>non-use</b> 124:10 125:4	
			<b>Nope</b> 172:3	
			<b>normal</b> 59:14	
			<b>Normally</b> 142:15	
			<b>note</b> 47:16 55:20 84:15 85:18 131:8	
			<b>noted</b> 80:7	
			<b>notice</b> 37:17 51:20	

19:2 43:10 56:20 87:15,17 90:4 109:4 142:5 152:3 <b>occupancy</b> 105:19 <b>October</b> 78:10 <b>OET</b> 59:13 <b>offended</b> 52:6 <b>offer</b> 45:18 71:21 105:19 171:6 <b>office</b> 3:12 51:16 78:5,6 <b>officers</b> 110:5 <b>offices</b> 51:16 <b>official</b> 127:14 134:19 <b>Officials</b> 5:18 <b>offloading</b> 21:6 <b>offshore</b> 12:22 <b>oftentimes</b> 51:11 <b>oh</b> 7:4 111:12 118:20 150:13 158:3 159:2 <b>okay</b> 7:3,15 10:15 13:3 33:11 39:11 60:2 66:18,18,19 69:4,8 79:21 84:2 84:15 87:2 90:11 92:14,18 102:5 108:22 115:3 117:5,16 118:4,10 120:17 121:8,17 122:13 133:13 146:7,14 148:1,5 150:19 151:1,5 154:3 157:18 158:7 164:4 169:7 171:20 172:13 175:1 180:3,15 <b>old</b> 41:10 96:6 <b>older</b> 47:18 <b>OMB</b> 62:20 63:11 63:14 <b>once</b> 47:20 57:1 60:4 63:6 64:17 70:22 72:14,18 74:19 80:18 83:2 102:9 104:5	127:14,16 139:10 142:11 151:20 154:18 159:11 170:18 <b>ones</b> 19:17 54:6 67:3,4 148:2 158:1 <b>ongoing</b> 30:12 31:5 54:21 55:20 62:5 <b>open</b> 31:13 50:6 58:22 85:3 127:17 127:19 129:12 163:2 172:13 173:10,12 174:12 178:17 <b>opened</b> 129:1 <b>opener</b> 91:17 <b>openers</b> 103:14,15 <b>opening</b> 3:2 47:1 149:13 175:13 <b>opens</b> 41:5 <b>operate</b> 24:14 62:11 71:4 72:16 74:11,12 75:7 77:14 <b>operated</b> 103:22 <b>operates</b> 47:15 65:2 104:8 <b>operating</b> 30:14 81:11 104:17 <b>operation</b> 72:21 <b>operations</b> 81:5,21 89:16 141:18 <b>operator</b> 44:10 74:21 <b>operators</b> 106:16 <b>opinion</b> 120:10 126:2 128:13 <b>opinions</b> 120:21 <b>opportunistic</b> 9:7 19:12 43:2 151:19 <b>opportunities</b> 41:6 45:6 <b>opportunity</b> 30:8 31:22 44:22 46:19 97:7 109:3 <b>opposed</b> 70:17	104:16 106:10 151:20 <b>optimization</b> 136:8 <b>option</b> 48:10 75:2 <b>options</b> 71:22 159:3 <b>order</b> 5:8 142:22 163:20 <b>ore</b> 151:18 <b>organization</b> 60:3 <b>organizations</b> 94:16 <b>originally</b> 45:22 <b>other's</b> 56:19 <b>ought</b> 82:6 99:5 114:14 135:20 136:5 165:3 <b>outcome</b> 50:8 56:5 <b>outcomes</b> 56:13 61:10 <b>outline</b> 44:6 117:21 <b>outlived</b> 52:13 <b>outload</b> 152:21 <b>output</b> 130:11 <b>outputs</b> 14:2 61:10 <b>outside</b> 23:14 41:20 71:15 133:7 <b>outsider</b> 12:7 <b>overall</b> 54:2 58:17 95:8 <b>overburdened</b> 161:17 <b>overlap</b> 130:1,3 133:11,15,20 <b>overlay</b> 167:2 <b>oversight</b> 143:7 <b>overused</b> 101:15 <b>overview</b> 3:16 86:6 <b>O-F</b> 3:1 4:3	<hr/> <b>P</b> <hr/> <b>pace</b> 25:9 <b>Page</b> 123:12 <b>pages</b> 14:18 145:1 <b>paper</b> 106:11 124:3 128:22 139:14 140:19 <b>papers</b> 174:22 <b>paradigm</b> 26:5 <b>parallel</b> 164:7 <b>parameters</b> 32:5 132:2 <b>Parks</b> 175:22 176:1 <b>part</b> 14:6 15:9 27:3 31:9 36:20 44:16 49:18,22 53:6 54:4,5 56:6 77:7 94:17 100:8 101:15 104:15 122:2 126:9 156:3 162:2 166:10 174:12 <b>participant</b> 55:5,7 167:1 <b>participants</b> 54:22 58:15 79:2 <b>participate</b> 54:20 <b>participated</b> 87:4 <b>participates</b> 47:14 67:16 <b>participation</b> 87:8 <b>particular</b> 16:10 29:7 78:21 95:13 100:13 102:15 115:14 124:14 125:5,18 133:14 163:5,5 178:5 180:4 <b>particularly</b> 62:15 99:19 109:1 133:1 135:13 142:12 155:19 <b>partly</b> 60:14 <b>partners</b> 15:5 26:10 <b>parts</b> 32:10 47:14 71:4 <b>party</b> 33:21,21 <b>pass</b> 99:14 <b>passive</b> 71:7 149:7 <b>pat</b> 82:12 <b>path</b> 29:10 85:19 119:21,22 120:1 171:20	<b>patient</b> 127:16,19 <b>pay</b> 78:3 <b>paying</b> 41:13 76:4 <b>PC</b> 18:18 96:5 <b>PCS</b> 41:2 <b>pending</b> 180:1 <b>penetrate</b> 128:11 <b>Pentagon</b> 136:12 <b>people</b> 7:7 12:10 18:3,16 19:14 22:8,16 23:13 24:18 28:21 32:22 33:5 34:13,20 35:9 37:8 38:17 41:12 45:18 51:8 63:8 86:4,15 91:8 94:10,13 98:11 102:14,22 106:11 107:2,5 109:20 111:12 116:7 120:3 124:19 131:13 135:22 137:3 150:5 153:20 155:3,4,8 155:9 159:10 167:11 172:8 174:1 180:12 <b>people's</b> 14:12 17:9 <b>percent</b> 20:6 21:7 22:6 78:5 127:9 <b>perception</b> 100:3 <b>perfect</b> 91:15 <b>perform</b> 29:2 62:17 71:2 <b>performance</b> 25:1 141:13 <b>performing</b> 63:21 <b>period</b> 3:10,14,20 3:23 4:5 48:16 49:5 52:8 59:2,3,6 65:6,21 66:2 <b>periodic</b> 132:13 <b>periodically</b> 135:17 <b>periods</b> 48:19 <b>peripheral</b> 174:15 <b>permeate</b> 34:22 <b>permeates</b> 150:15
---	---	--	--	---

<b>permits</b> 101:21	29:10 30:5,15	<b>policies</b> 57:12	149:18 158:8	<b>primary</b> 54:3,22
<b>permitted</b> 74:11	31:8,10,12,15,16	149:15	<b>potentially</b> 27:10	128:14
<b>permutation</b>	31:17 32:8 33:3	<b>policy</b> 1:4,12 8:14	85:14 133:5	<b>principle</b> 135:11
167:19	33:17 36:7,11,21	8:18,19 14:10	<b>powder</b> 161:11	<b>principles</b> 143:17
<b>person</b> 23:8 74:22	36:22 37:12,15	16:14 26:15 32:15	<b>power</b> 27:8	<b>priorities</b> 162:19
75:1,13	39:21 45:5 85:1	50:17 51:11 54:21	<b>powerful</b> 133:5	<b>prioritization</b>
<b>perspective</b> 40:14	111:18 148:21,21	69:3 80:12 96:18	<b>practical</b> 36:18	60:15
44:10 66:12 98:17	148:22 155:22	101:21 111:11	144:9 162:1	<b>priority</b> 30:16
107:20 144:10	165:20 167:17	127:5 130:14	<b>practices</b> 15:7	159:8
<b>pertinent</b> 150:10	169:10	141:19 149:1	<b>pragmatic</b> 36:18	<b>privacy</b> 98:13
<b>petabytes</b> 20:11,12	<b>planned</b> 12:20	167:17 178:11,13	<b>precise</b> 100:17	115:17
<b>petition</b> 172:8	125:14 157:12	180:7	<b>predecessors</b> 52:3	<b>private</b> 18:21 29:14
<b>phased</b> 72:8	<b>planning</b> 35:12	<b>policymaker</b>	<b>preferences</b> 168:13	52:15 68:1 81:15
<b>phenomenal</b> 28:20	60:13,21 62:16	111:10	<b>preparation</b> 61:12	<b>proactive</b> 126:17
<b>philosophical</b>	68:11,21 70:5	<b>policymakers</b>	61:13	<b>probabilities</b> 128:4
135:10 136:18	<b>Plans</b> 80:12	108:9,21 109:10	<b>present</b> 1:16 2:8	<b>probably</b> 15:9 20:3
<b>philosophically</b>	<b>Plan's</b> 46:4	112:13 114:8	31:15 52:15 86:9	20:7 42:8 51:20
136:14	<b>platforms</b> 17:5	127:14	119:1	52:13 59:7 76:2
<b>phone</b> 21:17	<b>players</b> 136:19	<b>policymaking</b>	<b>presentation</b> 46:8	79:12 82:6 93:3
168:13 169:14	<b>please</b> 7:8 62:9	80:10	46:13,20 122:15	94:2 95:21 131:4
172:1	147:8 154:15	<b>Politburo</b> 47:18	<b>presentations</b> 3:7	138:14 146:22
<b>phrase</b> 112:22	175:12	53:7	11:1 50:6,13,14	151:17 152:15
<b>pick</b> 26:4 135:18	<b>pleasure</b> 7:20	<b>polling</b> 95:17	84:18 163:14	156:17 160:20
137:16 158:1,12	<b>plenipots</b> 61:14	<b>pops</b> 154:10	<b>presented</b> 86:1	161:3 163:18
162:19 164:20	<b>plenty</b> 145:19	<b>position</b> 63:13	120:15 121:2	165:4 166:5 169:9
165:17,22 166:14	<b>plethora</b> 41:5	136:10,15	132:1,2 139:9	<b>problem</b> 14:5,7
171:2	<b>podium</b> 11:4	<b>positioning</b> 135:10	<b>present-day</b> 17:8	38:12 66:8 97:4
<b>picture</b> 52:3 114:5	<b>point</b> 18:22 24:16	<b>positions</b> 119:10	<b>presiding</b> 1:14	101:10 114:3
114:8 138:2	39:19 45:2 63:18	120:4	<b>presumably</b> 121:14	<b>problems</b> 34:16
<b>piece</b> 83:3	66:6,10,13 74:13	<b>positive</b> 91:7	<b>presume</b> 55:11	45:10 96:14
<b>pieces</b> 90:5 101:14	74:15 83:6 88:13	<b>possibilities</b> 17:11	<b>pretty</b> 21:22 23:13	144:12,14
<b>pipeline</b> 30:1	89:4,4 90:2 92:10	81:20 128:4	61:16 62:1 66:22	<b>procedure</b> 50:7
160:13,14	92:19 95:6 96:17	<b>possibility</b> 33:18	79:20 83:20,21	<b>procedures</b> 50:17
<b>pipelines</b> 176:4	97:20,21 102:12	45:22 93:2 100:5	99:22 153:14	123:22
<b>place</b> 16:1 32:19	102:17 103:21	164:14	157:22	<b>proceeding</b> 84:16
59:7 95:21 136:6	106:22 107:22	<b>possible</b> 10:3 59:22	<b>prevent</b> 141:3	<b>proceedings</b> 31:22
153:16 166:7	110:22 118:18	98:10 114:20	151:8	32:7
<b>placed</b> 120:12	137:8,17 153:1	145:3	<b>previously</b> 10:22	<b>proceeds</b> 27:20
<b>placeholder</b> 85:18	158:18 167:2	<b>possibly</b> 46:16	<b>pre-conditions</b>	<b>process</b> 14:9 15:2
<b>places</b> 29:7,15	<b>pointed</b> 17:21	102:11 103:11	37:6 39:22	15:21 16:17 40:21
94:14	19:18 34:2	147:14	<b>pre-decisional</b>	41:18 49:10 51:12
<b>plagiarism</b> 175:3	<b>points</b> 25:18 38:22	<b>Postal</b> 55:4,6,12	49:21 50:3	56:20 57:8,20
<b>plan</b> 8:17 11:11	98:4 100:15	<b>posting</b> 118:13	<b>pre-eminent</b> 79:12	58:3 59:3,10
12:15,18 13:4,5	107:10,13 108:2	<b>potato</b> 146:20	<b>price</b> 24:18,20	61:18 63:17,19
13:12 15:11 16:10	<b>point-to-point</b>	<b>potential</b> 13:20	<b>prices</b> 24:15	64:6,16,22 66:4
19:15 25:14,16	76:22	19:20,21 26:6	<b>primarily</b> 61:3	66:21 67:14 70:8
26:20 27:4,13	<b>Police</b> 110:5	28:22 88:20	76:19 83:1 131:22	70:10 72:13,18,19

76:15 85:16 102:19 103:12 116:15 118:18 122:2 129:15 130:20 131:3 145:14 156:14 160:10,21 176:13 <b>processed</b> 59:17 65:4 <b>processes</b> 57:12,16 103:18 142:16 <b>processing</b> 84:16 146:5 <b>processors</b> 98:19 <b>produce</b> 8:12 <b>producing</b> 116:2 <b>product</b> 138:11,21 <b>products</b> 103:22 131:14 <b>Professor</b> 139:14 <b>profound</b> 33:1 <b>project</b> 20:11 138:20 <b>prominent</b> 127:13 <b>prominently</b> 175:1 <b>promise</b> 28:16,17 29:8 139:15 <b>promote</b> 34:8 <b>promotion</b> 36:12 <b>propagation</b> 26:18 41:3 <b>proper</b> 155:2 <b>properly</b> 145:7 158:13 <b>properties</b> 9:11 <b>property</b> 134:19,20 137:22 140:4,6 142:20 <b>propitious</b> 86:18 <b>proponents</b> 87:20 <b>propose</b> 29:10 37:5 180:5 <b>proposed</b> 32:3 158:6 165:2 <b>proposes</b> 75:14 <b>proposing</b> 37:4 168:8	<b>prospective</b> 113:17 <b>protect</b> 80:19 <b>protecting</b> 49:6 <b>protections</b> 27:22 <b>protocols</b> 156:7 <b>proved</b> 142:22 <b>proven</b> 19:6 <b>provide</b> 25:8 31:3 48:9 56:10,12 62:18 72:20 127:20 176:14 <b>provided</b> 34:20 117:20 138:4 <b>providing</b> 34:9 57:22 62:2 90:15 100:20 <b>Prudence</b> 175:21 176:1 <b>public</b> 4:14 13:22 15:18 18:20 27:4 30:3,5,11,16 31:5 46:2 85:7 87:13 94:16 96:17 107:10 111:13 132:3 135:16 137:10 154:9 172:13,15 174:3,7 174:9,12 179:5 <b>publicly</b> 177:2,4 <b>Public-Safety</b> 5:18 <b>pull</b> 15:10,18 91:11 134:22 <b>pulled</b> 78:1 102:19 <b>pumpkin</b> 159:13 <b>purchase</b> 140:11 <b>pure</b> 91:1 <b>purpose</b> 108:5,7,14 112:14 <b>purposeful</b> 38:10 <b>purposefully</b> 175:2 <b>purposes</b> 91:12 92:3 94:6 100:18 109:7 162:1 176:15 <b>push</b> 127:1 162:8 <b>pushing</b> 173:12 <b>put</b> 21:15 28:8 40:3	78:17 81:16 85:12 90:8 93:21 103:13 107:15 111:4 112:4,5 114:19 118:9 145:13 153:13 174:21 177:13 180:16 <b>puts</b> 63:12 <b>putting</b> 36:10 71:14 99:16 102:9 177:3 <b>P-R-O-C-E-E-D-...</b> 5:1 <b>p.m</b> 180:21 <hr/> <b>Q</b> <hr/> <b>qualify</b> 107:15 <b>quality</b> 24:14 <b>quarter</b> 44:13 138:21 <b>queried</b> 122:3 <b>question</b> 38:22 42:17 43:19 44:1 49:15 58:21 68:10 69:6 79:12 82:10 84:3 89:12 91:14 94:1 123:21 125:11,17 133:14 143:3 156:14 172:4,19 174:13 174:14 <b>questions</b> 33:6,6,7 43:10,13 62:11 83:19 89:9 172:2 173:6,9,18,20 175:15 <b>quick</b> 58:21 84:15 89:11 156:13 172:4 <b>quickly</b> 39:17 60:8 76:4,7,14 85:11 154:19 <b>quite</b> 48:2 89:2 145:21 169:2 173:2,5 175:1 176:14 <b>quo</b> 128:6	<b>quote</b> 29:5 <hr/> <b>R</b> <hr/> <b>R</b> 2:17 <b>radar</b> 71:14 76:21 76:22 112:7,8 <b>radars</b> 113:10 149:1 165:20 167:13 <b>radio</b> 41:10,12 46:21 55:11 61:8 61:12,15 77:7 103:6 112:11 113:18 141:6,7 154:7,9 <b>radios</b> 83:6 98:18 98:21 113:21 <b>raise</b> 51:22 158:17 <b>raised</b> 76:5 86:2 108:3 150:11 <b>raises</b> 96:17 <b>random</b> 99:3 <b>range</b> 17:7 20:21 26:15,21 73:8 74:9,10,14 <b>ranges</b> 74:3 <b>rankings</b> 138:17 <b>rate</b> 23:16 <b>rates</b> 68:16 69:16 70:22 71:10,12 <b>ration</b> 24:19 157:15 <b>rationed</b> 157:16 <b>Ray</b> 6:22,22 44:2,5 <b>Raytheon</b> 7:12 <b>reach</b> 19:20 30:1 51:5 120:6 <b>reached</b> 15:4 <b>read</b> 36:7 89:13 123:12 144:21 <b>readily</b> 174:11 <b>reading</b> 138:6 <b>readout</b> 49:16 <b>ready</b> 164:16 <b>real</b> 17:9 37:7 39:17 64:11 132:11 134:19,20	136:4 142:20 154:14 <b>reality</b> 34:4 48:11 67:21 124:22 127:19 <b>realize</b> 42:5 139:21 <b>reallocating</b> 109:4 129:4 152:4 <b>reallocation</b> 87:19 108:8,15 111:2 <b>really</b> 11:21 14:7 14:12 16:13 17:10 22:9 29:21 33:22 34:7 37:20 40:10 41:4 43:3 44:21 51:7 54:6 56:2 58:9 70:7 75:3 82:22 83:20 93:20 101:12 103:2 104:1 108:8 121:22 124:17 125:4 126:1 128:2 128:2 132:20 133:8,17 134:6 136:13 140:1,15 144:20 145:6 146:15 154:17 159:8,14 162:20 163:7,8 173:8 <b>Reaser</b> 2:15 7:12 7:12 <b>reason</b> 36:20 50:15 62:12 90:18 96:8 176:9 180:4 <b>reasonable</b> 134:22 <b>reasons</b> 97:13 <b>reassigning</b> 129:4 <b>recall</b> 111:20 112:17 130:22 173:6 <b>receive</b> 149:8 <b>received</b> 85:6 <b>receiver</b> 141:13 142:3 144:6,11 149:2 165:21 167:12 <b>receivers</b> 125:13
--	---	---	--	--

141:17,18 144:15	<b>regards</b> 8:5 123:13	<b>report</b> 12:21 21:1	<b>required</b> 13:19	<b>reuse</b> 23:5
<b>recess</b> 84:10	<b>regime</b> 143:2	65:20 78:14 86:9	<b>requirement</b> 33:16	<b>review</b> 59:9 69:22
<b>reclaim</b> 101:2	<b>regimes</b> 143:12	93:22 97:19,22	66:17 80:17	72:13 76:15 77:19
<b>reclaiming</b> 100:5	<b>regulatory</b> 39:22	98:12,21 99:10	<b>requirements</b> 31:5	79:19 84:22
<b>recognize</b> 28:19	103:1 143:2	102:3 105:7 106:5	34:14 77:5 82:17	148:15,17
121:21	154:17	115:2 116:1 119:2	<b>requires</b> 62:21	<b>reviewing</b> 120:3
<b>recognizes</b> 40:11	<b>reinforce</b> 18:15	120:15 122:3,20	<b>requiring</b> 132:13	<b>reviews</b> 62:18
<b>recommend</b> 36:12	<b>reinforces</b> 128:5	129:16 131:19	<b>Research</b> 9:3 20:14	119:2
112:2 161:6	<b>relate</b> 14:10 38:15	136:16 138:22	<b>reserved</b> 124:11	<b>revocation</b> 153:22
<b>recommendation</b>	<b>related</b> 131:10	139:11 144:22	<b>resign</b> 166:20	<b>revoke</b> 29:6
25:20 26:1,6 39:8	<b>relates</b> 176:17	146:12 147:13,17	<b>resolution</b> 143:12	<b>re-purposed</b> 97:1
39:10,18 88:19	<b>relation</b> 11:10	160:16 161:12,14	<b>resolve</b> 64:12 73:21	<b>RICHARD</b> 2:15
92:16 122:7 161:5	<b>relationship</b> 141:11	161:15 162:2,4	<b>resolved</b> 142:19	<b>Rick</b> 7:12
180:2	<b>relative</b> 123:17	163:16 170:12	<b>resolving</b> 81:13	<b>riff</b> 97:9
<b>recommendations</b>	<b>relatively</b> 110:11	176:6 177:10	<b>resource</b> 45:18	<b>right</b> 25:3 41:16
10:5 15:12 31:19	146:13	178:4	<b>resources</b> 97:12	42:15 57:4 59:19
31:21 32:10 38:14	<b>release</b> 8:16 11:12	<b>reported</b> 20:19	123:18	60:1,14 69:11
39:8 122:1,4,12	<b>releaseable</b> 50:1	21:11 114:8	<b>respect</b> 76:18 140:9	70:3 73:7 89:22
125:6 126:9,12	<b>released</b> 12:16	<b>reporting</b> 132:14	142:17 150:10,16	90:6 91:3 92:7,9
129:2 132:7	31:12 36:4,8	150:1 160:7	163:15	93:11 101:3,4
137:19,20	<b>relevance</b> 163:5	165:19 167:18	<b>respecting</b> 98:13	110:8 121:4
<b>recommended</b>	<b>relevant</b> 101:7	<b>reports</b> 3:17,18	<b>respond</b> 35:3 57:21	122:17 136:11
132:22	<b>relevantly</b> 113:3	4:11 8:12 9:18	65:6 78:19	143:2 145:1
<b>recommending</b>	<b>relinquish</b> 27:19	11:2 20:5,15 21:6	<b>responded</b> 66:7	150:17 153:4
29:17	<b>rely</b> 36:1	84:8 85:3 119:1	<b>responders</b> 17:20	155:11 159:18
<b>record</b> 5:12 6:7	<b>relying</b> 83:10 96:9	132:22 134:1	<b>response</b> 30:20	163:6 169:17
12:5 41:8 44:4	163:15	161:13 164:2,9	58:19 64:8 77:20	178:12
46:17 54:16 55:18	<b>remain</b> 43:13	177:9 179:4	77:21	<b>rights</b> 134:8,20
84:10 91:13	<b>remark</b> 101:8	<b>representation</b>	<b>responses</b> 58:16	137:22 140:3,6
106:11 134:4	<b>remarkable</b> 17:22	54:9	66:3,13	142:14
165:14 172:17	<b>remarks</b> 3:2 10:20	<b>representative</b> 52:5	<b>responsibilities</b>	<b>risk</b> 19:21 134:15
<b>records</b> 49:10	16:22 45:16	52:7 53:19 54:18	55:16 67:22	177:13
<b>recovering</b> 180:6	149:13	<b>representatives</b>	<b>responsibility</b>	<b>risky</b> 109:16
<b>Recovery</b> 13:6,14	<b>remember</b> 5:19	54:19	66:11	<b>River</b> 6:19
<b>red</b> 34:9 117:9,11	24:3 31:16 36:19	<b>represented</b> 51:15	<b>responsible</b> 28:15	<b>road</b> 26:11 126:15
122:21	41:1 102:10	53:18	154:19	<b>roaming</b> 30:15
<b>reduce</b> 30:13	111:21 134:10	<b>represents</b> 68:5	<b>rest</b> 8:15 39:9	<b>Rob</b> 111:15
<b>reduction</b> 25:2	144:6	<b>request</b> 130:10	84:17 86:7 119:1	<b>ROBERT</b> 2:10
<b>refer</b> 39:13	<b>remind</b> 44:15	161:21 179:18	133:16 162:4	<b>rogue</b> 106:16
<b>reference</b> 124:22	<b>reminder</b> 45:11	<b>requested</b> 116:20	<b>restate</b> 20:4	<b>role</b> 100:20 145:8
<b>referencing</b> 124:20	129:14	163:10	<b>restaurant</b> 110:8	<b>rolling</b> 17:13
177:7	<b>reminders</b> 10:20	<b>requesting</b> 68:17	<b>restraining</b> 142:22	<b>room</b> 14:17 19:15
<b>reflect</b> 21:3 120:13	<b>reminds</b> 18:17	68:17,22 69:2	<b>result</b> 65:22	23:8,10 114:11
138:16	<b>removed</b> 79:10	<b>requests</b> 65:3 72:5	<b>resulted</b> 103:19	168:20 173:7
<b>reflects</b> 120:16	<b>renewals</b> 67:3	78:17	<b>resumed</b> 84:11	<b>rooms</b> 11:20
<b>regard</b> 132:5	<b>renewed</b> 78:10	<b>require</b> 67:4,5	<b>retrospective</b> 113:3	<b>roost</b> 140:16
<b>regarding</b> 127:5,13	<b>renewing</b> 51:22	163:17	<b>return</b> 27:4	<b>root</b> 30:9,10 40:1

<b>Rosston</b> 2:16 6:20 6:20 54:13 106:21 110:18 134:5 166:3 <b>rough</b> 167:11 169:18 <b>round</b> 9:5 121:16 <b>rulemaking</b> 32:6 57:8 <b>rulemakings</b> 57:7 57:14 <b>rules</b> 27:10 32:3 49:19 56:7 61:3 156:3 <b>run</b> 23:14 28:3 57:17 59:7 60:7 91:8 115:16 165:1 <b>running</b> 89:3 156:19 164:7 <b>runs</b> 57:18 <b>runway</b> 25:8 36:5 <b>R&amp;D</b> 29:18 39:1,5 39:19,20 <b>R&amp;O</b> 56:6	66:18 82:21 97:10 115:18 133:22 179:19 <b>says</b> 34:10 132:16 134:20 155:2 174:17 <b>scale</b> 165:12 <b>scarce</b> 126:5,7 <b>scarcity</b> 9:10 <b>SCC's</b> 26:22 <b>schedule</b> 4:17 85:19 <b>scheduling</b> 74:16 <b>schizophrenic</b> 105:7 <b>school</b> 17:13 <b>science</b> 29:19 149:7 <b>scientific</b> 96:10 <b>scope</b> 15:2 46:1 130:20 131:1,5,12 147:16 148:4,7 149:15 152:11 155:16 158:13 164:15 166:15,16 169:19 170:1,5,9 171:4,15 <b>screen</b> 46:15 <b>seats</b> 84:13 <b>second</b> 5:6,7 26:13 100:8 137:18 161:9 <b>secondary</b> 128:14 <b>Secondly</b> 35:11 <b>secrecy</b> 135:15 <b>secret</b> 135:22 <b>secretary</b> 3:5 7:17 7:19 8:3 10:17 34:2 149:14 162:17 165:3 179:18 <b>secretary's</b> 155:20 180:17 <b>section</b> 150:21,22 155:7 <b>sector</b> 18:2,21,21 52:15 68:1 81:15 <b>security</b> 115:12	177:17 178:14,16 <b>see</b> 12:9 37:14 41:4 42:4 47:9,18 52:13 63:6 67:1 75:11 87:6 101:11 105:18 108:11 111:10 123:16,17 123:20 127:8,16 127:19 128:2 133:18 136:7,8 137:19 152:14,15 157:21 158:2,9,15 160:19 161:13 165:1 170:21 <b>seeing</b> 98:22 <b>seeking</b> 82:18 <b>seen</b> 97:19 145:8 160:16 <b>seizing</b> 44:22 <b>seldom</b> 91:8 <b>select</b> 163:2 <b>selected</b> 93:2 148:16 149:5 <b>selecting</b> 157:16 <b>selection</b> 167:9 <b>self-certified</b> 72:19 <b>self-executing</b> 31:16 <b>self-report</b> 106:12 <b>self-reporting</b> 113:17 <b>send</b> 55:2 77:21 <b>sending</b> 34:13 57:20 120:3 <b>sends</b> 8:4 <b>sense</b> 21:10 71:11 91:22 92:7 117:14 121:5 146:22 158:10 165:16 <b>sensing</b> 141:7 152:7 <b>sensitive</b> 99:18 131:12 <b>sensitivity</b> 23:14 <b>sent</b> 65:17 83:16 <b>sentence</b> 106:6 <b>separate</b> 102:3	111:11 138:10 151:15 162:3 165:10 <b>series</b> 5:6,7 74:2 <b>seriously</b> 171:8 <b>serve</b> 112:14 145:7 170:6,8 172:9 <b>served</b> 169:22 <b>server</b> 96:3 97:22 <b>serves</b> 176:17 <b>service</b> 13:1 19:8 27:10 45:19 55:4 55:6,12 77:16 94:16 104:13 112:7 143:13 <b>services</b> 103:4 <b>set</b> 51:3 58:11 70:7 77:13 92:4 103:2 109:11 116:19 143:16 <b>setting</b> 77:11 <b>settled</b> 103:10 <b>seven</b> 21:12 113:9 133:16 <b>shape</b> 33:1 <b>share</b> 15:21 27:20 29:13 45:20 155:8 <b>shared</b> 20:7 26:7 61:10 65:10,11,18 92:5 100:10 <b>shares</b> 151:7 <b>sharing</b> 9:7,14 38:21 43:2 70:16 81:19,22 108:8,15 109:3 128:15 140:9,12 141:10 142:13 149:15,16 150:10,16,22 151:13,21 152:5 155:10 156:6 160:19 161:21 163:4,7 164:5,19 165:5,8,10 167:3 167:4,5,5 170:16 171:1 <b>she'll</b> 82:12 <b>shock</b> 177:10	<b>Shockwave</b> 177:11 <b>short</b> 58:7 101:9,10 156:19 <b>shortage</b> 37:19 <b>shorter</b> 132:14 <b>shots</b> 88:18 <b>shoulder</b> 136:1 <b>show</b> 48:4 167:11 <b>showing</b> 50:3 <b>shows</b> 23:22 92:8 <b>side</b> 65:1 100:9 104:6 115:12,16 123:4,5 139:22 140:1 142:3 <b>sidecheck</b> 16:2 <b>sifted</b> 14:17 <b>signal</b> 110:14 <b>signals</b> 100:20 113:11,22 <b>significant</b> 9:1 31:3 75:6 <b>signs</b> 64:3 <b>silly</b> 133:22 134:3 <b>siloed</b> 42:22 <b>similar</b> 20:21 64:15 <b>similarly</b> 28:21 <b>simple</b> 103:12,17 162:16 <b>simply</b> 19:22 162:17 169:1 <b>simulated</b> 52:10 <b>Simultaneous</b> 160:5 <b>single</b> 28:1 53:19 <b>singular</b> 130:11 <b>sir</b> 58:20 68:9 <b>sit</b> 25:4 <b>sitting</b> 98:9,19 114:11 168:20 <b>situations</b> 17:19 <b>six</b> 23:22 28:1,2 <b>sky</b> 24:7,7 <b>SkyTerra</b> 6:4 <b>slightly</b> 112:22 139:6 165:13 <b>slow</b> 96:1 <b>small</b> 18:10 49:5
<b>S</b>				
<b>s</b> 83:19 <b>sacred</b> 109:2 <b>safety</b> 14:1 27:4 30:3,6,11,17 31:5 46:2 107:10 111:13 137:10 <b>Salemme</b> 2:17 6:18 6:18 40:9 41:9 42:7,11 78:12 116:14 118:4 143:20 147:15,20 148:1,5 152:17,21 160:15 170:3 <b>sales</b> 50:14 97:3 <b>sandbox</b> 40:4,5 <b>satellite</b> 81:6,7 117:22 <b>satisfying</b> 130:9 <b>saved</b> 87:2 124:11 <b>saw</b> 124:1 132:6 <b>saying</b> 14:4 42:20				

73:15,18 74:2	136:22 137:4	36:17,21 37:10,21	<b>speech</b> 27:7	<b>statewide</b> 74:7
76:11 83:3 98:10	138:11,13 139:18	37:22 38:8,15	<b>spend</b> 62:22 153:11	<b>state-of-the-art</b>
<b>smart</b> 23:3,13	142:7 143:16	40:12,16,18 41:13	<b>spent</b> 11:19	30:6
86:15 98:18	150:1,2 154:6,7	43:2 44:19 46:2	<b>spilled</b> 47:20	<b>stations</b> 27:16
177:19	161:21 164:19	50:9,16,17 51:8	<b>spilling</b> 164:8	<b>statistic</b> 138:15
<b>smartest</b> 23:8	167:18,19	51:17 54:1 55:21	<b>spirit</b> 43:5	<b>status</b> 3:17 65:20
<b>smartphone</b> 22:4	<b>sound</b> 153:7	56:4,17 60:21	<b>splitting</b> 23:5	103:16 128:5
<b>smartphones</b> 18:4	<b>sounds</b> 144:20	62:15,18 63:14	<b>spoke</b> 47:11	<b>statutory</b> 49:13
<b>smarts</b> 113:21	153:5 161:10	64:4 68:11,21,22	<b>sporadic</b> 71:21	<b>stayed</b> 53:1
<b>Snider</b> 172:18,19	<b>sources</b> 105:21	70:4,11,16 71:5	<b>spot</b> 92:22 93:7	<b>stays</b> 101:4
<b>soft</b> 118:5,6,7	<b>space</b> 44:14 60:10	75:6,19 78:4,12	94:5,21 97:3	<b>Steering</b> 80:12
<b>sold</b> 21:20 90:13,18	60:12	79:13 80:9 81:1	105:15 132:21	<b>step</b> 22:9 102:7
<b>solid</b> 12:7 33:3	<b>Spain</b> 40:16	83:4 86:10,13	<b>spreading</b> 163:21	<b>steps</b> 31:7 80:3
<b>solution</b> 14:6,6	<b>spatial</b> 23:5	87:19 88:11,15,21	<b>spur</b> 9:5	<b>Stern</b> 154:10
87:19 108:16	<b>speak</b> 31:19 39:21	90:19 91:22 92:3	<b>staff</b> 67:5 126:22	<b>steward</b> 136:3
<b>solve</b> 34:15,16	45:16	92:4 94:11 96:13	<b>staffers</b> 15:15	<b>stewarding</b> 12:2
153:18	<b>speaking</b> 113:3	96:21 97:19 98:17	<b>stages</b> 57:8,17,19	<b>stick</b> 131:6
<b>somebody</b> 59:13	132:3 160:5	99:3 100:1,5,21	58:1,12	<b>stimulate</b> 13:10
72:16 73:20 74:20	<b>speaks</b> 26:2	101:11,13,14,20	<b>Stagg</b> 39:14	<b>stop</b> 143:1
75:8 89:18 95:5	<b>spec</b> 107:22	105:18 107:5,17	<b>standard</b> 28:12	<b>store</b> 21:21
110:6 133:12	<b>special</b> 13:6 16:11	107:20 109:8	97:18	<b>stovepiping</b> 178:13
147:1 168:19	<b>specific</b> 10:3 26:20	112:5 114:5,12	<b>standards</b> 30:22	<b>straightening</b> 64:7
171:6 175:1	44:17 50:2 65:2	118:1 123:3,6,9	61:3 64:1 144:11	<b>strategic</b> 127:4
<b>someplace</b> 96:15	72:3 76:8 77:2,3	123:11,14,18	149:2 165:21	<b>strategy</b> 25:3
97:22	109:8,20 127:7	124:21 125:1,5,8	167:13 174:19	<b>stretching</b> 42:20
<b>somewhat</b> 63:3	129:9 130:10	125:14,18 126:4	175:9	<b>Strickling</b> 8:2
145:2 146:21	161:22	126:18 127:9,10	<b>standpoint</b> 11:10	149:14 157:11
<b>soon</b> 153:4	<b>specifically</b> 27:12	127:19 128:1,6,8	96:11 116:15	162:17 165:3
<b>sooner</b> 145:4	73:22 104:6 129:6	128:10,20 129:5	<b>Stanford</b> 6:21	179:20
<b>sorry</b> 7:5 67:19	152:10 177:7	130:2,9,12 131:19	<b>start</b> 5:15 10:22	<b>strictly</b> 98:16
69:6 99:13,14	<b>specificity</b> 125:5	132:12,19 134:8	32:4 108:21	<b>strive</b> 32:2
112:20 120:19	127:12	135:21 136:6,9,12	118:13 161:1	<b>stroke</b> 177:5
156:21 157:8	<b>spectral</b> 23:17	136:20 137:9	166:21 170:10	<b>strong</b> 149:9
160:14	<b>spectrum</b> 1:3,12	138:11,12,21	<b>started</b> 5:4 10:12	<b>strongly</b> 87:20
<b>sort</b> 14:9 35:14	3:12,19,25 5:5 8:1	139:5 140:11,14	40:20 49:15 149:6	<b>structural</b> 13:16
46:7 53:19 60:20	8:14,18,22 9:4,6	141:5,12,15,22	156:14	<b>struggle</b> 113:5
65:11 66:9 68:15	9:10,20,22 10:1	144:10,12 148:20	<b>starting</b> 48:18	<b>studies</b> 124:22
69:12 75:5 78:13	11:9 12:8 16:14	148:22 150:3	103:20 153:1	<b>study</b> 17:13 21:1
83:8 84:16 86:5	16:19 22:22 23:19	152:5 156:6,11	160:9	50:9 61:15
90:12 93:18 95:10	23:21 24:7,11,12	160:17 165:19	<b>state</b> 15:5 61:17	<b>stuff</b> 14:12 113:10
95:11 97:9 98:14	24:17 25:6 26:3,7	167:17,20,22	129:10	113:12 119:11
99:2,5 106:17,22	27:9,18,19 28:2,8	168:22 169:4,5,10	<b>stated</b> 177:8	133:11 137:1,2
107:3,7 119:8	28:11 29:1,7,9,12	173:3 176:5,13,16	<b>statement</b> 83:11	156:15,17 160:12
123:22 125:10	31:8 32:15 33:13	178:4,11,13,18	130:20 164:15	172:17 174:10
130:11,12 132:17	33:17,20 34:6,12	<b>spectrum-regula...</b>	170:15 171:7	<b>style</b> 35:18
132:21 133:4	34:13 35:7,10,15	37:1	173:22	<b>sub</b> 11:2
134:6,18 135:9	35:22 36:4,10,14	<b>speculation</b> 128:3	<b>States</b> 176:20	<b>subactivity</b> 73:21

<b>subcommittee</b> 3:17 3:19,22,25 4:9 60:10,14,22 61:2 61:8,20 62:16 64:20 68:12,13,14 68:21 70:5 84:7 109:19 120:8,21 122:16 130:3 139:2,6 146:11 147:8 160:18 167:10 168:6 169:21 171:19 173:1	<b>suggestions</b> 47:5 89:15 108:20 109:18 122:22 157:2 <b>suggests</b> 20:15 48:12 <b>sum</b> 25:5 <b>summary</b> 87:16 <b>sums</b> 99:20 <b>sunshine</b> 59:2 <b>supply</b> 25:7 36:16 176:19 <b>support</b> 19:13 31:6 39:1 51:18,19 78:4 87:16 <b>supporting</b> 60:19 <b>supposed</b> 86:20 <b>supposedly</b> 107:19 <b>sure</b> 11:6 24:21 29:22 33:4 63:9 63:22 67:6 69:17 73:10 101:4 107:2 118:14 133:13 146:6 147:7 158:13 178:3 <b>surgeons</b> 127:15 <b>surgical</b> 128:1 <b>surprised</b> 105:17 <b>surrogate</b> 93:19 <b>surveys</b> 15:4 <b>suspect</b> 136:10 146:12 <b>synthesized</b> 145:2 <b>system</b> 65:16 70:6 71:15 72:6,7 79:13 80:5 94:19 103:6 125:15 127:7 140:7,10,11 177:20 <b>systematic</b> 68:15 69:13 <b>systems</b> 33:19 60:10,12 61:4 62:17,19,22 63:3 67:13 70:15 71:4 71:20 75:20 81:6 81:16 94:15 98:12	104:10 113:18 128:9 <hr/> <b>T</b> <hr/> <b>table</b> 5:10,13 33:1 47:20,21 48:3 52:11 84:20 147:5 <b>tailored</b> 126:1 <b>take</b> 10:4 16:20 22:8 24:3 28:18 30:10 31:20 32:20 33:6 40:1 41:6 64:12 66:11 77:6 84:13 106:1 114:10 116:7 122:21 142:18 146:10 162:2 170:6 175:19 177:1,12 <b>taken</b> 15:6 78:2 100:2 <b>takes</b> 23:21 30:9 152:21 <b>take-up</b> 39:4 <b>talk</b> 12:14 13:3 17:3 19:1 25:14 31:7 39:2 45:5 46:12 55:22 56:13 61:20 64:19 77:10 88:7 93:7 104:19 107:4 108:18 <b>talked</b> 37:18 45:22 74:4 93:1 108:6 111:1 170:16 <b>talking</b> 11:9 24:1 35:6,7 38:13 45:2 47:12 57:15 71:19 81:12 82:20 94:18 109:6 112:9 138:5 168:5 <b>talks</b> 33:15,20 41:9 93:10 105:11 <b>tank</b> 138:20 <b>tanks</b> 29:15 <b>target</b> 114:10 <b>task</b> 62:16 122:20 139:18	<b>taught</b> 22:21 <b>team</b> 15:15 <b>technical</b> 30:22 61:2 75:10 92:11 95:22 107:20 108:20 111:18 113:15 115:8 127:4 149:15 150:16 153:16,18 <b>technically</b> 75:20 <b>techniques</b> 23:4 61:6 141:7 <b>technologies</b> 9:4 17:17 19:6,16 23:2 28:17,17 29:1 33:18 34:5,9 34:11,18 35:16 36:6,13,14 37:9 40:1 87:21,22 151:19 <b>technology</b> 26:5 29:19 30:1 35:17 36:2,22 39:4 41:19 45:8 88:5 114:7,16 125:16 130:13 143:6 151:7 152:6 154:21 <b>technology-regul...</b> 37:2 <b>Telecom</b> 176:2,3 <b>Telecommunicat...</b> 3:8,12 <b>telemetry</b> 81:6 <b>telephone</b> 2:22 <b>telephony</b> 94:13 <b>tell</b> 24:9 67:19 94:16,22 107:6 112:12,13 162:21 169:15 179:22 <b>telling</b> 107:3 <b>tells</b> 107:5 <b>temporary</b> 142:22 <b>ten</b> 24:2 25:6,22 26:8 33:16 34:17 34:18 44:11 82:22 95:19 117:3,4	129:8 159:2 168:20 <b>tend</b> 126:5 <b>tens</b> 14:18 <b>tentatively</b> 180:16 <b>tenure</b> 119:16 <b>Ten-Minute</b> 3:15 <b>ten-year-old</b> 125:16 <b>term</b> 13:11,12 29:21 35:12 37:13 38:8 45:5,6 101:10,11,17,18 101:19 <b>terms</b> 38:12,15 68:11 72:2 73:4 75:4,4 76:15 89:12 90:12,14 91:20 100:12 103:1 109:5 115:8 115:17 117:22 132:12 141:22 151:12,18 155:15 156:2 159:16 162:7 179:18 <b>terrific</b> 79:10 89:13 104:1 132:11 143:19 170:1,4 171:19 <b>test</b> 29:13 73:8 74:9 74:10 <b>tested</b> 19:13 <b>testifying</b> 8:3 <b>testing</b> 149:7 <b>text</b> 87:18 119:8 <b>thank</b> 7:3,5,11 8:6 10:11,15,18 40:6 44:5 46:19,22 83:12 84:4 86:11 99:14 116:1 122:12 129:13 139:13 143:18 144:5 146:8,18 148:11 163:12 164:11 171:18 172:11 175:19 179:4 180:18
--	--	--	---	---

<b>thankful</b> 45:17	35:3 36:19 37:6	165:9,10 166:7,8	58:7,19 59:11	<b>top</b> 43:7
<b>thanks</b> 11:14,15	37:11,12 38:16	166:11 168:15	71:17 74:11 82:5	<b>topic</b> 13:19 16:19
12:1 16:11 38:20	40:17 41:5,15,20	169:3,18 170:18	83:18 86:7 94:18	16:20 23:9 119:15
45:13,15 79:9	43:6,8,12,20 44:6	170:22 171:20	101:15 107:10,13	123:2 149:10,18
122:18 162:15	44:9 45:7,16 50:8	173:7 174:16	112:21 113:4	151:18 166:13
169:13	51:10,21 52:3,11	179:8	117:20 121:2	173:3
<b>theme</b> 27:7 28:13	53:3,5,21 55:8	<b>thinking</b> 19:1 38:4	124:7 126:16	<b>topics</b> 51:3 85:22
125:2,6 126:7,11	56:1 59:16 63:1,5	42:21 43:1,11	127:18 130:10	85:22 86:3 148:10
128:21	64:22 67:12 71:1	80:20 86:20	132:15 145:17,19	148:15,18 149:5,5
<b>they'd</b> 152:8	71:10 72:1,1 75:4	113:12 114:3,15	148:16 149:6,8,10	149:11 150:5
<b>thin</b> 163:22	75:15 76:6 80:1,5	147:1	150:11 153:11	151:15 157:2
<b>thing</b> 9:9 15:19	80:16 82:4,6,19	<b>thinks</b> 101:18	156:19 157:1,15	158:9,11,12
16:13 41:16 53:20	88:3,4,8,13 90:2	<b>thins</b> 113:9	158:19 159:14	167:12 175:18
64:19 66:9 73:1	93:2 95:10 96:8	<b>third</b> 5:4,6 27:6	164:13,16 173:7	<b>top-to</b> 79:18
78:18 83:8,14	96:10 97:6,15	137:18	<b>timeline</b> 36:1	<b>touch</b> 62:14 69:20
95:2 97:11 98:18	98:14 99:4 100:1	<b>thoroughly</b> 89:14	116:20	<b>tough</b> 91:19
107:15,16 109:22	100:6 101:3 102:8	<b>thought</b> 16:15	<b>times</b> 20:13 23:20	<b>town</b> 77:9
118:4 130:17	102:10,11,18	34:22 43:20 46:4	29:7 33:15 34:6	<b>town's</b> 178:12
133:22 134:13	103:8,20 104:14	69:5 87:14 103:9	35:12,20 55:8	<b>track</b> 78:15 117:12
142:10 143:8,10	104:19,22 105:4	105:22 131:17	58:8 77:7 80:7	<b>traffic</b> 20:5 21:8
153:13 167:5	105:12 106:5	137:13 138:10	81:2 94:14 147:10	71:14 112:7
168:1 175:8	107:7,14 108:2,11	148:13 157:1	<b>timing</b> 45:12 46:4	<b>train</b> 69:5
176:10	108:12,19 109:2,5	159:11 162:17	76:2	<b>training</b> 71:20
<b>things</b> 14:15 15:20	110:12,18,22	169:16	<b>tired</b> 124:20	<b>Tramont</b> 1:14,17
16:14 17:11,12	111:3,3,13 113:2	<b>thoughtful</b> 45:16	<b>title</b> 135:3	3:3 6:10,10 45:14
35:19 37:3 41:17	114:6,18 115:19	<b>thoughts</b> 38:21	<b>today</b> 8:4 12:3	49:12 53:9 55:10
43:14 60:19 63:1	115:22 118:6	45:20 116:8	14:17 15:22 19:11	59:16,20 68:2,7
75:11 76:11 81:10	119:17 120:7	129:18 139:2	22:6 25:19 28:21	84:12 87:9 89:8
81:14 86:2,12,12	123:5,9 124:7,13	144:3 175:11	38:17 46:22 47:12	91:10 92:6 96:16
88:9 89:5 94:22	125:1,20 126:18	<b>thousand</b> 173:16	86:7 124:1 136:10	99:7,12 102:5
96:1,1,12 97:10	126:20 127:18	<b>thousands</b> 14:18	153:15,15 156:3	105:2 106:20
106:17 107:11	128:5,6,22 131:9	<b>three</b> 20:6 116:21	157:6 161:13	109:15 111:15
110:20 111:2	131:11 132:15,19	117:5,6 165:7	163:14 167:10	112:19 114:18
113:11,15,17	132:22 133:14,17	<b>threesome</b> 133:4	168:20	115:4,21 116:19
114:2 116:17	134:5 135:18	<b>three-page</b> 86:19	<b>today's</b> 9:19 16:10	117:2,6,10,13,16
118:1 128:15	136:4 137:5,17	<b>three-week</b> 59:21	<b>tolerant</b> 141:17	118:10,14,16,20
135:6,16 136:16	138:5,14,20	<b>three-year</b> 119:16	<b>Tom</b> 84:1,2	119:5,14 120:7,19
140:13,14 141:14	141:13,21 143:8	<b>throwing</b> 52:12	<b>tomorrow</b> 161:22	121:1,5,9,18
142:1 143:14,15	143:10,13 144:19	<b>thumbs</b> 75:15,17	<b>ton</b> 114:1	122:13 129:14
152:1 157:1,17	144:22 147:12	<b>Thursday</b> 1:8 30:4	<b>tonal</b> 99:18 108:12	130:16 133:6
159:9 161:13	149:6,9,19 150:4	<b>time</b> 5:13 8:8 11:22	<b>tone</b> 101:3	134:2 135:2 137:7
173:20	150:8,14 151:16	14:22 19:7 31:6	<b>tonnage</b> 21:3	137:13 138:3,19
<b>think</b> 5:10 12:2	152:2,8,8,10	32:14 40:5 41:11	<b>tool</b> 24:19,21 108:8	144:3,17 145:10
14:8 19:7 20:7	155:21,22 156:18	41:13 44:10 45:1	108:15 109:13	145:22 146:7
22:3 24:18 25:5	158:21 159:15	45:3,15 48:19	110:16	147:12,18,21
29:8,14,20 31:8	160:19 162:6,22	49:6,8 51:1 52:8	<b>toolbox</b> 27:6	148:2,6 150:13
32:18 33:12,13	163:16,20 164:1	52:13 53:5,5 58:5	<b>tools</b> 124:2	151:10 153:7

155:9,13 156:12 156:21 157:8 159:15,22 160:3,6 161:7,19 162:12 162:22 165:9,15 166:12 167:8,16 168:7,12 169:7,13 170:18 171:10,13 171:18 172:7,12 175:17 179:1,13 180:3,9,12,15 <b>transfers</b> 27:11 <b>transition</b> 11:20 <b>transmission</b> 107:8 107:9 110:1 <b>transmissions</b> 100:13 106:15 <b>transmitters</b> 125:13 <b>transparency</b> 3:21 9:21 112:1 122:15 123:3,9,11,14,15 124:8,18 125:20 126:7 127:20 128:12 129:3 130:15 131:18,20 132:8,16 133:18 134:6,17,21 135:11 172:21,22 173:4,14 174:16 <b>transparent</b> 106:4 <b>transportable</b> 81:9 <b>travel</b> 47:9 <b>traveling</b> 47:6 <b>Treasury</b> 52:5 <b>treat</b> 17:17 136:20 <b>tremendous</b> 18:8 <b>trends</b> 32:16 <b>tried</b> 38:11 109:6 123:10 130:19 <b>trip</b> 47:10 <b>tripled</b> 25:7 <b>trips</b> 15:6 <b>trouble</b> 94:18 96:6 <b>truism</b> 8:13 <b>trunk</b> 83:6 103:6 <b>truth</b> 129:5 135:19	135:19 <b>truthful</b> 72:20 <b>try</b> 46:11 51:5 59:15,17 70:15 85:11 91:5 109:19 112:22 113:6 117:19 118:2 131:6 136:19 143:1,16 147:3,10 166:16 <b>trying</b> 37:5,12 59:9 86:6 95:5,19 97:15 104:16 124:13 125:20 130:13 135:20 136:5 140:19 144:12 151:14 157:3 168:21 169:3 <b>turn</b> 5:14 7:4,15 10:13 11:1,4 16:18 28:10 74:22 97:20 159:12 <b>turnaround</b> 83:18 <b>turned</b> 16:5 28:19 49:4 98:7 <b>TV</b> 26:16 27:16,22 <b>two</b> 10:22 16:13,14 32:16 56:1,1 60:9 62:14 64:10 84:19 85:3,9,20 96:17 97:10 99:22 102:3 108:2 112:1,16 115:11 117:22 130:7 131:3 132:16 140:12 147:9 148:14,18 149:11 151:15 157:5 159:7 160:2 160:6 161:12,13 161:15 169:11 172:9 173:9 177:15 <b>two-year</b> 159:17 <b>tying</b> 102:2 <b>type</b> 77:16 90:13,20 91:18 92:13	133:17 142:12 143:7 <b>types</b> 71:6 81:16 92:7,9 104:11 112:9 140:13 143:4 152:1,6,9 <b>T-A-B-L-E</b> 3:1 4:3 <b>T-Mobile</b> 6:22 20:18 <hr/> <b>U</b> <hr/> <b>ULS</b> 176:22 <b>ultimate</b> 121:13 <b>ultimately</b> 24:15 56:15 64:3 72:7 83:9 121:22 122:2 122:10 142:18 <b>unclear</b> 71:2 <b>undergone</b> 48:17 <b>underlying</b> 104:13 <b>underlying</b> 97:7 150:15 <b>underpinning</b> 29:19 136:18 <b>underscore</b> 131:2 166:13 <b>understand</b> 66:1 79:4 107:2,16 114:22 128:11 146:20 156:3 164:12 176:7,9,21 <b>understanding</b> 79:6 98:17 102:13 108:9 109:10,13 123:14 124:15 138:1 <b>understood</b> 112:3 <b>underuse</b> 97:4 <b>underused</b> 97:1,3 <b>underutilization</b> 108:22 <b>underutilized</b> 107:19,21 <b>underway</b> 62:6 84:14 <b>undo</b> 144:14	<b>unfair</b> 79:12 <b>unfettered</b> 107:9 <b>unfold</b> 32:7 <b>unfortunately</b> 82:6 <b>unheard</b> 42:12 <b>unique</b> 30:7 <b>United</b> 176:20 <b>unlicensed</b> 19:6 26:7 42:21 89:16 90:10,17 91:6 92:17 93:10,19 94:4 100:10 102:8 102:16 104:6 106:19 149:1 155:18 156:1,9 161:2,6 165:7,17 166:6,8 167:5,16 168:15 169:10,19 169:19 <b>unlock</b> 27:8 <b>unselected</b> 149:5 <b>unused</b> 101:14 <b>update</b> 114:9 168:22 <b>updated</b> 20:9 114:13 <b>upgrade</b> 23:1 80:5 <b>upgraded</b> 21:14 <b>upper</b> 27:2 <b>urge</b> 116:7 <b>urgency</b> 58:6 <b>USA</b> 7:1 <b>usable</b> 40:18 <b>usage</b> 17:16 23:16 68:15 69:16 71:10 71:12 89:19 90:14 91:21 100:4,22,22 132:19 <b>use</b> 5:20 8:21 9:8 26:4 28:18 36:12 36:16 37:22 38:7 42:11 43:11 46:2 46:9 54:1 69:13 70:22 72:3 76:16 91:5,18 92:7,9,11 93:2,7 95:5 100:10,11 111:5,8	111:8,16,17 112:3 112:3 114:16 124:10 125:3,17 128:14 129:11 132:14 136:9 137:9 138:14 140:4 141:4 150:3 161:16 162:11 164:13 168:22 169:5 178:11,19 <b>useful</b> 37:10 105:5 105:6,19 113:6 131:17 156:10 175:3 <b>user</b> 20:16,19,22 22:12 42:3 95:22 96:9 97:2,20 <b>users</b> 9:14,15,16 30:17 70:17 83:7 91:5 95:17 144:10 <b>uses</b> 89:16 108:17 109:7,12 141:8 <b>USIA</b> 53:2 <b>usual</b> 31:22 <b>usually</b> 158:22 <b>UTC</b> 176:3 <b>utilities</b> 176:1,3,4 <b>utilization</b> 13:17 124:21 <b>U.S</b> 1:1 <hr/> <b>V</b> <hr/> <b>vacation</b> 12:19 <b>valid</b> 133:1 <b>Validas</b> 20:14 <b>validates</b> 70:22 <b>valuable</b> 16:16 <b>value</b> 27:8 42:4 102:1 106:9 107:8 109:5 110:1,21 111:3,6,9 121:20 124:16 <b>values</b> 110:22 <b>variations</b> 156:9 <b>varied</b> 71:5 119:15 156:5 <b>variety</b> 16:9 55:13
--	---	--	--	--

<b>various</b> 56:13 120:4 140:21 141:2 151:22 166:17	<b>vowel</b> 12:3 <b>vulnerability</b> 178:1 178:2	93:11 108:1 110:17 111:7,20 117:17 137:16 144:19 145:6 150:8,14,19 151:1 151:5 153:5 155:8 158:17 159:19 171:5 180:14	<b>went</b> 84:9 94:15 117:20 154:12,14	28:3 41:17 51:12 53:15 54:7,11 59:13 70:7,8 72:22 74:4,13 84:21 87:6 103:19 115:7 122:4,5 124:8 126:13 128:22 138:12 149:21 157:20 165:1
<b>vary</b> 76:12 143:12	<b>vault</b> 147:1	<b>Washington</b> 1:14	<b>we'll</b> 10:22 11:1 43:3 45:5 46:12 46:12 58:8 63:7 84:13 102:6 104:20 124:4 128:12 137:15 146:9 147:3,8 162:13,21 166:16 167:6 168:2,20 170:7,22 171:15 180:6	<b>whichever</b> 163:3
<b>vehemently</b> 105:22	<b>wait</b> 164:20	<b>wasn't</b> 12:20 21:15 21:16 87:10 103:14	<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>white</b> 47:18
<b>vehicles</b> 31:3 55:14	<b>waiting</b> 34:17	<b>water</b> 176:19	<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>Wi</b> 100:16
<b>verbiage</b> 33:20 146:3	<b>waivers</b> 57:9	<b>way</b> 4:11 10:1 26:21 28:15 29:8 35:5 36:18 81:22 82:3 95:18 97:4 108:9 110:12,19 112:22 114:5,7 127:22 133:2 144:19 145:20 150:1 163:6 164:21 178:18	<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wide</b> 71:4
<b>verification</b> 105:14	<b>want</b> 8:6 10:2,11 16:11 24:21 25:11 26:4 28:7 39:12 61:6 64:19 70:2 70:12 74:12 76:11 82:9 85:7 87:5 92:21 96:12 98:4 99:17 101:4 107:1 109:20 111:4 112:20 115:13 123:20 129:22 130:5 143:18 146:1 152:16 153:2 158:12 159:5 161:10,12 162:10 163:7,9 165:4 168:11 172:20 175:8 178:17,21	<b>ways</b> 8:21 22:21 33:2 36:17 42:3,6 43:1 72:19 111:3 141:9	<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>Wilkinson</b> 6:11
<b>version</b> 52:2 87:8 87:11,14 89:3 116:5,6 118:15	<b>wanted</b> 40:9 42:13 46:18 47:5 50:13 55:19 62:14 67:13 102:7 106:21 108:1 109:14 110:20 121:19 132:10 137:16 149:17 155:17 161:7,9	<b>web</b> 174:5,11	<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>willingness</b> 45:19
<b>versus</b> 73:3 96:14 112:7 166:8	<b>warehoused</b> 124:12	<b>webcasting</b> 173:20	<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>WiMax</b> 23:3
<b>veto</b> 56:19	<b>warning</b> 110:14	<b>website</b> 65:19 67:10 85:12 118:13 145:14 177:2	<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wind</b> 113:4
<b>vexing</b> 43:14	<b>warrants</b> 96:20	<b>weeks</b> 8:16 116:21 117:3,4,5,6 144:2 147:9 175:14	<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>windowless</b> 11:20
<b>vibrant</b> 25:11	<b>Warren</b> 2:18 3:18 6:15,15 38:20 39:11,16 40:6 52:19 55:4 83:13 86:16 92:10,15	<b>welcome</b> 3:2 7:21 179:2	<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wireless</b> 3:8 11:7 19:3 20:10 22:20 25:11 44:9,14 88:1 123:18
<b>vice-versa</b> 82:1		<b>well-planned</b> 12:19	<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wise</b> 136:2
<b>view</b> 11:9 79:19 101:17 106:6 107:22 113:17 116:7 119:21 120:12,16 128:1 137:8			<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wish</b> 177:6
<b>viewpoints</b> 16:9			<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wizards</b> 22:20
<b>views</b> 120:14			<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wi-fi</b> 17:14 19:5 21:6 28:19 42:11 91:8 95:2,6,8 97:16 98:3,7 104:8
<b>vintage</b> 146:13			<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wi-spy</b> 91:18
<b>virility</b> 48:4			<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wonder</b> 94:7 101:6 113:8
<b>visibility</b> 52:1			<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wondered</b> 161:20
<b>vision</b> 25:16			<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wonderful</b> 99:10
<b>visual</b> 20:10			<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:2,20 126:9,20 128:7,16 129:16 131:1,3 133:13,13 138:22 139:1,10 140:19 142:11 143:11,15,22 151:2,14 152:3,13 156:18,19 157:10 159:13 161:16 162:18 163:8 164:7 165:15 168:5,8 170:19,21 177:22 179:15 180:15	<b>wondering</b> 76:8
<b>vodka</b> 47:19			<b>we're</b> 8:20,21 9:11 10:20 11:12 19:1 19:10 22:18 24:1 30:20 32:15 33:2 35:6,7,11 36:2,9 37:5,12 40:10 45:4,17 47:8 50:16 58:7 61:5 63:7,21 64:2 66:18,18 77:16 79:15,16 80:2,4 80:14 81:19 83:5 84:16 85:10 86:6 87:20 89:2 97:17 102:2 115:1 116:5 116:15 124:13 125:	

13:9,13 26:9 29:12,13 32:11 41:3 45:12 47:6 49:20 51:2 54:21 57:6,18 61:16 62:2 67:4 75:2 80:14 85:21 89:1 89:13 99:11,16 115:1 116:2 122:15 129:20,21 130:20 131:1,5,12 133:19 143:19,20 144:4 145:11,12 148:9 160:8 162:1 162:11 163:19 164:7,9,15,16 166:1,15,16 170:1 170:6,9,15 171:4 171:7,15 172:14 <b>worked</b> 8:10 15:10 40:14 111:22 173:2 <b>workforce</b> 14:1 <b>workgroup</b> 152:22 <b>working</b> 9:19 13:11 56:20 64:9 65:8 65:16 80:4 86:14 89:6 93:17 103:3 110:2 114:22 131:13 139:17 158:18,19,21 159:4 162:3 170:11 179:6 <b>works</b> 39:6 53:13 143:7 145:16 <b>workshops</b> 14:15 20:18 <b>work/controversy</b> 163:18 <b>world</b> 15:8 24:22 44:16,21 47:6,8 61:12 113:20 <b>worried</b> 82:5 <b>worry</b> 34:11 <b>worse</b> 33:2 <b>worth</b> 107:7 <b>wouldn't</b> 175:7	<b>wound</b> 94:4 <b>wrap</b> 115:5 144:1 178:7 <b>wrestle</b> 43:15 <b>write</b> 16:1 <b>writing</b> 52:7 56:5 <b>written</b> 14:18 49:18 175:3 <b>wrong</b> 159:17 <b>wrote</b> 155:7 <hr/> <b>X</b> <hr/> <b>X</b> 24:4 <hr/> <b>Y</b> <hr/> <b>year</b> 11:21,22 12:11 44:13 68:6 68:7 78:6 138:21 140:12 159:21 <b>years</b> 18:7 20:6 22:1 23:21 24:1,2 25:6,8,22 26:8 28:12,13 32:17 33:16 34:17,19 35:13,21 36:2,5 42:14 44:11 48:19 50:11 52:18 53:1 53:2,6,16 57:13 58:18 80:11 101:18 103:11 132:16 144:7 160:2 168:21,21 169:3 <b>York</b> 94:17 <hr/> <b>Z</b> <hr/> <b>zero-based</b> 132:12 132:18 <b>zip</b> 129:9 <hr/> <b>\$</b> <hr/> <b>\$120</b> 78:8 <hr/> <b>1</b> <hr/> <b>1</b> 117:14 121:11 133:15 <b>1st</b> 117:14 129:17 <b>1-800</b> 40:22	<b>1.4</b> 21:2 <b>1.9</b> 41:2 <b>10</b> 101:18 <b>10:30</b> 84:10 <b>10:39</b> 84:11 <b>11</b> 3:9 <b>12</b> 28:2 32:7 <b>12:05</b> 180:21 <b>1215</b> 67:12 <b>122</b> 3:21 <b>129</b> 3:23 <b>13</b> 23:22 <b>139</b> 3:25 <b>1401</b> 1:13 <b>143</b> 4:5 <b>146</b> 4:9 <b>148</b> 4:12 <b>15</b> 56:9 57:21 59:1 101:18 156:3 <b>15-day</b> 58:19 59:3 <b>16th</b> 31:14 <b>17</b> 20:11 <b>17th</b> 12:16 31:13 179:12,16,21 <b>1710</b> 81:4 <b>172</b> 4:14 <b>179</b> 4:17 <b>18</b> 32:7 <b>18th</b> 179:21 <b>19</b> 54:12 60:4 <b>19th</b> 179:21 180:5 180:13 <b>1922</b> 48:14 <b>1985</b> 52:2 <hr/> <b>2</b> <hr/> <b>2</b> 27:1 60:20 133:14 <b>2.4</b> 104:8 <b>2.5</b> 40:14 <b>2.5G</b> 13:2 <b>20</b> 28:11,13 32:17 57:13 168:21 <b>2000s</b> 173:4 <b>2007</b> 62:4 <b>2010</b> 1:9 24:5 <b>2014</b> 20:12 24:4 <b>2020</b> 25:16,16	114:10 <b>206</b> 62:1 <b>21</b> 76:11 <b>21st</b> 179:22 <b>24-hour</b> 113:9 <b>25</b> 22:6 <b>270</b> 20:16 <hr/> <b>3</b> <hr/> <b>3</b> 27:1 133:15,16 <b>3A</b> 103:7 <b>3G</b> 13:2 98:6 <b>3.6</b> 40:16 41:4 <b>30</b> 103:11 <b>300</b> 20:20 <b>33</b> 3:10 <b>350</b> 44:19 67:1 <hr/> <b>4</b> <hr/> <b>4</b> 1:9 133:16 <b>4G</b> 21:14 25:9 40:15 41:4 <b>40</b> 20:12 21:7 24:4 25:10 33:15 35:12 35:20 <b>40,000</b> 173:16 <b>400</b> 67:2 103:7 <b>46</b> 3:13 <hr/> <b>5</b> <hr/> <b>5</b> 3:4 133:16 <b>5,000</b> 20:6 129:6 <b>50</b> 145:1 <b>50-page</b> 140:19 <b>500</b> 25:21 26:11 88:3 <hr/> <b>6</b> <hr/> <b>6</b> 133:16 <b>68</b> 3:14 <hr/> <b>7</b> <hr/> <b>7</b> 3:6 <b>700</b> 27:3 30:10 <b>7055</b> 81:4 <b>740</b> 20:12 <hr/> <b>8</b> <hr/> <b>8</b> 87:8,11,14 89:3 118:15 <b>80</b> 78:5 127:9 <b>802.11</b> 156:3 <b>84</b> 3:15,16 <b>8500</b> 68:3,4 83:16 <b>86</b> 3:19 <b>89</b> 3:20 <hr/> <b>9</b> <hr/> <b>9</b> 123:12 <b>9:00</b> 1:14 <b>9:15</b> 5:2 <b>90</b> 127:9 <b>902</b> 104:10 <b>928</b> 104:10 <b>960</b> 67:12
---	--	---	--